

8-17-1973

Docket Entry 328 - Filed Deposition of Loyd A. Royal

Follow this and additional works at: <https://digitalcommons.law.uw.edu/us-v-wash-70-9213>

Recommended Citation

Docket Entry 328 - Filed Deposition of Loyd A. Royal (1973), <https://digitalcommons.law.uw.edu/us-v-wash-70-9213/242>

This Deposition is brought to you for free and open access by the Federal District Court Filings at UW Law Digital Commons. It has been accepted for inclusion in 70-cv-9213, U.S. v. Washington by an authorized administrator of UW Law Digital Commons. For more information, please contact lawref@uw.edu.

FILED IN THE
UNITED STATES DISTRICT COURT
WESTERN DISTRICT OF WASHINGTON

AUG 17 1973

EDGAR SCOFIELD, CLERK

By Deputy

UNITED STATES DISTRICT COURT
WESTERN DISTRICT OF WASHINGTON

UNITED STATES OF AMERICA,

Plaintiff,

Muckleshoot Indian Tribe,
Squaxim Island Tribe of In-
dians, Sauk-Suittle Indian
Tribe, Skokomish Indian Tribe,
Stillaguamish Tribe of Indians,
Quinault Tribe of Indians, in
its own behalf and on behalf of
the Queets Band of Indians and
Makah Indian Tribe, the Lummi
Indian Tribe, Quillayute Indian
Tribe, Upper Skagit River Tribe,
Hoh Tribe of Indians, and Confed-
erated tribes and bands of the
Yakima Indian Nation,

Plaintiff-Intervenors,

vs.

THE STATE OF WASHINGTON,

Defendant

Thor C. Tollefson, Director of
Washington State Department of
Fisheries, CARL CROUSE, Director
of Washington Department of Game,
Washington State Game Commission,

Defendant-Intervenors.

Civil No. 9213


DEPOSITION OF
LOYD A. ROYAL

CORRECTIONS

- 1 NOTE: Frazier River is spelled Fraser River.
- 2 P. 15; L 6-9: Should read:
- 3 rate. Regardless of the extent of that mortality, the
- 4 ocean appears to be consistently rigid in its environment
- 5 and the relationship of that environment to mortality is
- 6 likewise consistent.
- 7 P. 16; L 15: Change "escape" to "escapement"
- 8 P. 18; L 5-7: Should read:
- 9 Steelhead, because there is a space limitation with
- 10 spawning sockeye which is not the case with Steelhead.
- 11 P. 18; L 9: Change "fish" to "sockeye"
- 12 P. 20; L 9: Insert "egg" in front of "taking purposes"
- 13 P. 25; L 21: Insert "Steelhead" preceding "population"
- 14 P. 32; L 13-14: Should read: ", regardless of the usual and
- 15 accustomed fishing grounds,"
- 16 P. 34; L 3: Insert "coho" in front of "escapement"
- 17 P. 43; L 5: Change "escapement" to "catch"
- 18 P. 49; L 17: Delete "from identifying the coho to fish and
- 19 wildlife services of three states." (The thought is not
- 20 changed.)
- 21 P. 52; L 24-25: Should read: "to the total population on a
- 22 biological basis".
- 23 P. 53; L 4: Should read: "this occurred in Oregon as well"
- 24 P. 53; L 7: Change "sections" to "biological characters"
- 25 P. 61; L 10: Eliminate "organizations" and "such as fisheries
on"

CORRECTIONS

- 1 P. 62; L 22: Change "indisputable" to "disputable"
- 2 P. 63; L 2-3: Eliminate "it deserves"
- 3 P. 79; L 23: Eliminate "non smolt"
- 4 P. 95; L 24: Last sentence should read: "With sockeye we can
5 take a scale off of five hundred fish and tell you where
6 they came from -"
- 7 P. 101; L 1: Change "fisheries" to "Fisheries Department"
- 8 P. 101; L 23: Eliminate "good"
- 9 P. 106; L 8: Eliminate the words "not" and "not normally"
- 10 P. 108; L 2: Eliminate the word "cross"
- 11 P. 119; L 9-10: Should read:
12 "they spent most of the time fishing off the trap leads,
13 those that caught fish."
- 14 P. 128; L 18: Change "measure" to "pass"
- 15 P. 128; L 23-25: Change to: "Any place on the Fraser River
16 where the spawning grounds are on relatively large rivers
17 and a large number of fish are involved, that is why they
18 went to tagging in these locations, although in some"
- 19 P. 150: L 12: Eliminate "once in a blue moon" (contradiction of
20 thought)

21
22 
23
24
25

Loyd A. Royal

INDEX

Exhibits:

Exhibit 1 Page 12

Exhibit 2 Page 48

EXAMINATION OF MR. ROYAL

Direct (By Mr. Getches) Page 2
(By Mr. Dysart) Page 98
Cross (By Mr. McGimpsey) Page 123

Redirect (By Mr. Getches) Page 141

Recross (By Mr. McGimpsey) Page 150

Certificate of Signature Page 156a

Certificate of Reporter Page 157

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES DISTRICT COURT
WESTERN DISTRICT OF WASHINGTON

UNITED STATES OF AMERICA,
Plaintiff,

Muckleshoot Indian Tribe,
Squaxim Island Tribe of In-
dians, Sauk-Suittle Indian
Tribe, Skokomish Indian Tribe,
Stillaguamish Tribe of Indians,
Quinault Tribe of Indians, in
its own behalf and on behalf of
the Queets Band of Indians and
Makah Indian Tribe, the Lummi
Indian Tribe, Quillayute Indian
Tribe, Upper Skagit River Tribe,
Hoh Tribe of Indians, and Confed-
erated tribes and bands of the
Yakima Indian Nation,

Plaintiff-Intervenors,

vs.

THE STATE OF WASHINGTON,

Defendant

Thor C. Tollefson, Director of
Washington State Department of
Fisheries, CARL CROUSE, Director
of Washington Department of Game,
Washington State Game Commission,

Defendant-Intervenors.)

Civil No. 9213
DEPOSITION OF
LOYD A. ROYAL

1 BE IT REMEMBERED that at 8:30 o'clock a.m. on May
2 25, 1973, at the law offices of Dysart, Moore, Tiller and
3 Murray, Centralia, Lewis County, Washington, before Helen
4 I. Lane, Notary Public in and for the State of Washington,
5 appeared the witness herein.

6 Plaintiffs Muckleshoot Indian Tribe, Squaxin Island
7 Indian Tribe, Sauk-Suittle Indian Tribe, Skokomish Indian
8 Tribe, and Stillaguamish Indian Tribe, being represented by
9 their attorney, Mr. David H. Getches, Boulder, Colorado;
10 the plaintiff United States of America, being represented by
11 Mr. George D. Dysart, Assistant Regional Solicitor for the
12 United States Department of Interior, Portland, Oregon;

13 The defendant Washington State Department of Game
14 being represented by the office of the Attorney General per
15 James E. Cufley, Jr., Assistant Attorney General; the
16 defendant State Department of Fisheries being represented by
17 the office of the Attorney General, per Earl R. McGimpsey,
18 Assistant Attorney General.

19 This deposition is taken pursuant to Notice and
20 subject to the Rules of Discovery.

21 WHEREUPON, the following proceedings were had and
22 done, to-wit:

23 LOYD A. ROYAL, (called as a witness at the instance of the
24 Plaintiffs, being first duly sworn, on oath,
25 testified as follows:)

1 EXAMINATION BY MR. GETCHES:

2 Q Mr. Royal, will you please state your full name, age and
3 address?

4 A My name is Loyd , spelled with one "L", Allen Royal.
5 I was born February 27, 1908, and I live at 917 Ham Hill
6 Road, Centralia, Washington.

7 Q Have you ever had a deposition taken before?

8 A No - - wait a minute, you mean in relation to this case?

9 Q In any case.

10 A I believe I had a deposition taken when I was employed
11 by the Washington Game Department in relation to another
12 case. I forget the case.

13 Q How long ago was that?

14 A Within the last year.

15 Q Then you understand that everything you say is being taken
16 down by the Court Reporter, and it is necessary to speak
17 loudly and clearly for her to get everything down, and
18 also, you understand that what you are saying is under
19 oath and subject to the penalties of perjury as if it
20 were made in a courtroom? Obviously, there is a more
21 relaxed atmosphere than a courtroom, if you want to
22 drink coffee or take a break, just let us know, and we
23 will arrange for that.

24 I take it you have chosen not to have an attorney
25 present today?

1 A That's right.

2 Q It's important to give us the best answers to the
3 questions which we ask, although there will be an
4 opportunity to read the deposition and change any answers
5 you have given so although you should be aware, that any
6 change you make can be commented on at the time of trial.
7 We will not make attempt to trick or mislead you, if
8 there is ambiguity in the question, just ask for clarification,
9 tion, we will be glad to give that.

10 Can you give us your educational background, please?

11 A I graduated from Olympia High School in 1923, entered the
12 University of Washington School of Fisheries the following
13 fall; due to absences for work, I did not graduate until
14 the late 1929, or '30, I forget which. At that time I
15 received a Bachelor of Science degree, and later, through
16 contact with the University of British Columbia and at
17 the suggestion of the people at British Columbia, I was
18 awarded an honorary doctor's degree of that school in 1965.

19 Q What was your major in college?

20 A Fisheries.

21 Q Where were you employed following graduation?

22 A Having worked for the Washington Department of Fisheries
23 in 1928, and at other times prior to graduation from the
24 University, I was employed by them as a biologist.

25 Q How long were you in that position?

1 A I became Chief Biologist about 1935, and shortly there-
2 after, Assistant Director. I retained that position
3 until I entered the military service early in 1943. On
4 return from military, due to the passage of the Military
5 Service Act and change of administration and a new
6 director, whom I did not know, both positions which I
7 had held prior to the military service were filled by,
8 it happened, friends of mine, and to solve the situation
9 the Director of Fisheries created a stream improvement
10 division, and I was appointed head of that. About 1947
11 or '48, I was reappointed to the position of Chief
12 Biologist and on January 1, 1949, I became Chief Biologist
13 for the International Pacific Salmon Fisheries Commission
14 located in New Westminster, British Columbia. In August
15 of that year, the director of the Commission passed away,
16 and I was first appointed Acting Director and after a
17 few months, became Director, a position which I held
18 until voluntary retirement, March 1, 1970, at which time
19 I accepted the position as Fisheries Research Co-ordinator
20 with the Washington Game Department, chief terms of
21 reference, which were to examine their anadromous trout
22 program and make recommendations in relation thereto.
23 I retired completely March 1, of this year, and intend
24 to stay retired.
25 Q So, how long were you Director of the International Pacific

1 Salmon Fisheries Commission?

2 A Twenty-one, plus years.

3 Q What were your duties in that position?

4 A To administer or to direct the staff of some forty
5 people, including engineers, fisheries scientists,
6 clerical help and field assistants in fulfilling the terms
7 of reference of the Commission which was to protect,
8 preserve, and extend the sockeye and pink salmon fisheries
9 of the Frazier River and regulate fisheries of the two
10 countries within the treaty boundaries toward that end,
11 and divide the catches equally between the fishermen of
12 the two countries.

13 Q Is it fair to say that in the various positions you have
14 filled, you have become rather intimately familiar with
15 the habits and generally, the biology of all varieties of
16 anadromous fish which are common to this area of this
17 country?

18 A Certainly anadromous fish, first salmon, and now steel-
19 head, although the fundamental dynamics of the various
20 species, whether trout or salmon, are much the same and
21 I have supervised, and carried out personally, scientific
22 work throughout the four decades that I was associated
23 with them.

24 Q Have you written any articles in professional journals
25 or books in your field that have been published?

1 A Yes. Most of my writing was under the name of the
2 organization rather than personally. I prepared all the
3 annual reports of the commission, and the State Depart-
4 ment of Fisheries, when I was with them. I have been
5 associated intimately, both professionally, and person-
6 ally, and as supervisor, with some of the recognized best
7 fisheries scientists of North America.

8 Q Of the things that have actually been published, can
9 you give citations or the names of the articles?

10 A Well, of course, there is this report for the Game
11 Department, which is a public document.

12 MR. GETCHES: We might say, the report the witness
13 is referring to is entitled, "An Examination of the
14 Anadromous Trout Program of the Washington State Game
15 Department". It is dated October 30, 1972, and this has
16 been introduced as Exhibit #8 of the Deposition of
17 Clifford Mellenbach (phonetic) and we will not, for the
18 purpose of economy, here introduce it, although it will
19 be referred to quite a few times.

20 A (continuing) I forget the title, but I prepared a paper
21 for the Fish Cultural Conference of Canada, presented in
22 Ottawa, about 1953, this dealt with the effects of the
23 fisheries on the productivity of the sockeye salmon.
24 There was also a publication with the Principal Ocean-
25 ographer of Canada, situated at the biological station - -

1 the Pacific Biological Station at Nanaimo, B.C., John
2 Tully, Junior Author, and I was the Senior Author. In
3 general, I, again, forget the title but it dealt with the
4 effects of ocean currents and weather on the migration
5 characteristics of salmon, primarily sockeye, and its
6 relation to management.

7 There were others, but I don't remember enough
8 details about them.

9 Q Suffice it to say, that there were quite a few published
10 and non published works in your field that you have
11 produced. Are you a member of any sportsmen's group?

12 A No.

13 Q Are you a fisherman, yourself?

14 A Yes.

15 Q Steelheader?

16 A No. Nor, a salmon fisherman. I am a trout fisherman.

17 Q Have you, in the course of your duties for the Commission,
18 and for the Department, Fisheries or Game, attended
19 sportsmen's meetings?

20 A With the Department of Fisheries I attended sportsmens
21 meetings, principally, the Washington State Sportsmens
22 Council.

23 Q What was the purpose of these attendance in these sessions?

24 A Merely to be available so they could express their
25 opinions, which is common in a democracy.

1 Q That was the policy of the Department, to seek out those
2 views?
3 A That's right. I would not say seek out, but to be
4 available to receive.
5 Q This was the Department of Fisheries?
6 A Yes.
7 Q Was that also done with the Department of Game?
8 A No. I attended no sportsmen's meetings - - oh, I attended
9 one, as a guest. My terms of reference, I do not recall
10 any activities in that connection.
11 Q What was the length of employment as Fisheries Research
12 Co-ordinator with the Department of Game?
13 A Exactly two years.
14 Q Now, what were the duties of your position as Fisheries
15 Research Co-ordinator?
16 A As I said earlier, it was primarily to examine, almost
17 solely, to examine the anadromous trout program with the
18 Washington State Game Department, and render a report.
19 My title was misleading, by the necessity of Civil Service,
20 but my activity was solely toward that end, and any related
21 matters.
22 Q So you were an employee rather than an independent con-
23 tractor?
24 A That's right.
25 Q You were paid on a salary?

1 A I was Civil Service status and paid salary on a monthly
2 basis.
3 Q What was your salary in that position?
4 A Is it important? I think that's a personal matter.
5 Q Well, is there a Civil Service grade?
6 A Yes, but I don't know what it was. I am perfectly willing
7 to answer the question, but I think it ranges beyond the
8 purpose of this deposition.
9 Q Well, you need not answer the question. What were you
10 specifically asked to do, what were the terms of your
11 assignment?
12 A There were no limits, it was to prepare a report and make
13 recommendations.
14 Q You were limited to a two year period in which you had
15 to do this?
16 A I limited myself, because I was sixty-five the 27th of
17 February, and I wanted to retire at that time.
18 Q Did you have others in your supervision in this position?
19 A No.
20 Q But you did have the cooperation of the Department of
21 Game?
22 A I had the full cooperation of the Department at all times.
23 Q Everybody? Also the Department of Fisheries?
24 A Yes, my relations with the Department of Fisheries were
25 very good.

1 Q Were any specific assignments made other than the general
2 assignment given to you during the course of this two
3 year period?

4 A Not that were not related to the original terms of
5 reference, I did write three reports.

6 Q Were those - - what were the three reports?

7 A The one already mentioned, and I wrote a report on the
8 relation of Indian fisheries to fisheries management
9 as related to my terms of reference and also in dealing
10 with my terms of reference, I became involved in the
11 effects of pollution in Grays Harbor to the anadromous
12 fish runs, primarily steelhead. I wrote a report on
13 that, with recommendations to the Director. Unfortunate-
14 ly, I do not have a copy of that with me, but it is
15 referenced in detail, discussed in some detail in this
16 main report.

17 (Discussion off the record.)

18 Q (By Mr. Getches) You referred to the memorandum on
19 fisheries management, or a report on fisheries management,
20 is that the memorandum to Carl Crouse dated May 3, 1971?

21 A That is correct.

22 Q The subject there is the relation of the Indian fishery
23 to fisheries management, and unless some of the other
24 counsel would like to make this an exhibit to the deposi-
25 tion, I think we can refer to it, as an attachment to

1 affidavit of Loyd Royal, dated February 2, 1972, and
2 filed in this case as Exhibit #3, at approximately
3 February 2, 1972.

4 MR. CUFLEY: Is that Exhibit #3?

5 MR. DYSART: Exhibit #3 to his affidavit.

6 Q (By Mr. Getches) So, you were not specifically asked to
7 do those three studies, but you found them necessary in
8 the course of your overall assignment?

9 A That is correct. And, I thought they were - - I wrote
10 special reports on them, because they required more
11 details to explain them, than I felt were necessary to
12 include in the main report.

13 Q Now, are you still employed, or retained in any way by
14 the Department of Game?

15 A I am neither retained by the Department of Game, or
16 retained by a single person nor do I intend to be.

17 Q Who supervised your work when you were employed at the
18 Department of Game as Fisheries Resource Co-ordinator?

19 A I was answerable only to the Director of Game. I had
20 free, uninhibited access to all operations and informa-
21 tion dealing with my terms of reference.

22 Q Were you solicited to do this job, or did you ask?

23 A I was, yes.

24 Q Would you happen to have in your possession a copy of the
25 directive of March 1, 1971, referred to in the transmittal

1 letter to this report that begins, in accordance with
2 your directive of March 1, 1971, the writer has reviewed
3 all aspects of the anadromous trout program of this
4 Department?

5 A Unfortunately, I do not. I probably would not have
6 thought of it, in any event, I have one day which was
7 hopeless to try to collect, so I brought the records in
8 my personal possession. I do not have those terms of
9 reference.

10 Q (By Mr. Dysart) Could we ask that, either Mr. Royal,
11 if you can try to obtain, or perhaps if Mr. Cufley can
12 get it, I assume from the Game Department, if we could
13 have that? It was in writing?

14 A Yes. In detail. I think, primarily, it was set up on
15 a Civil Service form as to my duties.

16 MR. CUFLEY: I will try to find, it may be in the
17 personnel file.

18 A (Continuing) I don't have a copy in my personal possess-
19 ion; as a matter of fact, I am rapidly getting rid of
20 everything related to fisheries or anything else.

21 MR. GETCHES: We will designate that Deposition
22 Exhibit #1, and it will be supplied later from Mr.
23 Cufley's office.

24 Q (By Mr. Getches) Did you get any additional instructions
25 other than the March 1st, 1971, directive?

1 A I did not.

2 Q Was any suggestion made to you that you prepare this
3 memorandum on the relation of the Indian fisheries to
4 fisheries management?

5 A I did not.

6 Q Could you give your best short definition of conservation?

7 A Wise use.

8 Q Okay; can you elaborate on that definition as relates to
9 the management of fisheries in particular?

10 A It is to first, recognizing that a particular animal,
11 whether it be steelhead, or anything else, is considered
12 a resource, the first responsibility is to protect it,
13 probably your second responsibility is to regulate any
14 use to the end that the resource is maintained or increas-
15 ed - - a renewable resource.

16 Q Is it relevant what use the resource is put to within
17 the definition?

18 A I think it is the use that is socially recognized as
19 most desirable, whether it be in the end, economic, or
20 any other - - esthetic and we could add other adjectives.

21 Q Turning now to some elements of fisheries biology, what
22 are the various factors determining the size of a run of
23 fish?

24 A Well, I could write quite a document on that subject, but
25 trying to minimize it, it is the environment for

1 reproduction, the living environment, possibly the range
2 of habitat. I think that summarizes it pretty well.

3 Q I take it that information about each of these elements
4 is necessary in order to make predictions about the size
5 of a run?

6 A May I ask what you are referring to specifically? Let's
7 narrow the range down so I can answer more intelligently.

8 Q Referring specifically to the anadromous fish, the pro-
9 blem of predicting the size of a run of anadromous fish
10 in a particular river? I take it, it would be helpful
11 to you to have as much information as possible about each
12 of these three elements, reproductive environment, living
13 environment, and range of habitat?

14 A In regard to the anadromous fish, or as a matter of fact,
15 in any other fish, as long as your reproducing stock is
16 adequate, and there is a rather wide limit to the defini-
17 tion of adequacy, the production of young is also adequate,
18 and more than sufficient to maintain the stock under
19 average conditions. Wide variations in juvenile to adult
20 survival take place early in life, and in the case of
21 an anadromous fish, the factors leading up to mortality
22 either occur in fresh water, or - - that is the variation
23 of survival rate, either occur in fresh water or are
24 caused originally in the natural state by the environment-
25 al factors in living area in fresh water. The mortality

1 may occur later, still, early in life, but the causitive
2 factors appear to be caused in fresh water. There is
3 no evidence except in unusual, rare, years that the ocean
4 causes wide variation - - which is the principal period
5 of the fish's life, causes wide variation in mortality
6 rate, regardless of the extent of that mortality, the
7 ocean appears to be consistently rigid in its environ-
8 ment and its relationship of that environment you find
9 in its broadest sense, morality. This is evident also
10 in marine fishes, whenever a dominant survival year
11 past the early life history of cod, or sardine, or herring,
12 never, whenever a dominant population occurs, the
13 dominance of that population is never destroyed natural-
14 ly, and it is almost impossible to destroy its dominance
15 by harvest.

16 Now, one can discuss the details of what I am saying
17 a considerable period of time, but I don't think it would
18 be particularly fruitful except as relates to other things.
19 Now, mind, I define all this in the natural state, but
20 man, with artificial culture practices could be pre-
21 creating things that modify that statement, bringing the
22 estuary possibly into importance and even the continental
23 shelf. This is a considered and informed opinion, but
24 not a fact, not a proven fact, I mean.

25 Q So, what you have said, one of the main things you have

1 said, as I hear it, the spawning area is of critical
2 importance?

3 A I would say it is of lesser importance in the natural
4 state.

5 Q But, among all the factors, that is at the top of the
6 list?

7 A I think the living environment, in the early life history
8 of the anadromous fish is most important to determine the
9 survival rate.

10 Q I see, but not the estuary and not the - -

11 A Not in the natural state, but a number of things are
12 happening, as I said, due to man's influence, changing,
13 in my opinion, the statement that I would make and have
14 made in relation to the natural state. I think I said
15 that with an adequate escape in the natural state there
16 was always more than sufficient young produced to maintain
17 stock, but the limits of survival of that stock was set
18 primarily by the environment of the living stage in fresh
19 water.

20 Q You refer to adequate escapement, is it possible to,
21 in studying particular streams, determine what numerically,
22 or what percentage wise is adequate escapement of the
23 natural run?

24 A Yes.

25 Q Once you have determined that, can you - - I presume you

1 then can determine - - ?

2 A (interrupting) With stream rearing salmonids, as I said,
3 living space determines population, not the spawning
4 numbers, as long as it is a reasonable number. There is
5 no conflict for space in the present day harvested runs
6 for the spawners to find adequate spawning ground. As far
7 as the stream rearing salmonids are concerned, it is the
8 rearing habitat that is the important thing.

9 Q If you know a great deal about the rearing habitat, and
10 a particular stream, in the particular stream, can you
11 then determine what, with some precision, what the escape-
12 ment goal for that stream is?

13 A Yes, within - -

14 Q Within reasonable tolerances?

15 A Yes, within practical limits.

16 Q Once you determine that, I presume you are able to deter-
17 mine what percentage, or what numbers of a particular
18 run in that river is harvestable?

19 A Yes, but in deciding on that number, depending upon the
20 species, in the case of Steelhead, it has to be rather
21 broad, because in administering the resource, trying to
22 pinpoint the number required on a very narrow limited
23 basis, would cost so much money that the resource wouldn't
24 return the amount of money expended. Now, with more
25 abundant species, for instance , in the case of the

1 Frazier River sockeye where you have a large number of
2 fish spawning in a limited area, you can make first,
3 the determination of the number of fish that can physical-
4 ly spawn in that area. Now, sockeye are different than
5 Steelhead, because there is a space limitation with
6 Steelhead, which is a stream salmon, and with the sockeye, a
7 lake-rearing salmonid, it's rather simple.

8 We have devised formulae for setting up escapement
9 requirement in advance of the fish run, we predict the
10 runs, usually successfully, but not always, we set the
11 number of fish required based on physical limitations of
12 the area, and modified by other factors, the effect of
13 dominant year, classes, it's all very complicated to
14 express in words here, but the lake rearing capacity
15 usually, in the case of sockeye in the Frazier River, and
16 I think this applies most places, will absorb, usually,
17 the number of fry produced by the maximum number of
18 spawners because the stream rearing salmon, you have to,
19 where you do not have many fish first, it's very difficult,
20 economically impossible, to accurately enumerate the
21 escapement to know how much escapement you have. You can
22 index it, but you cannot enumerate.

23 Q It can be done, but it's extremely expensive?

24 A It would cost more than the resource is worth, I probably
25 have more experience in enumerating escapement than any

1 person in North America, in twenty-two years of dealing
2 with the sockeye, and pink salmon, we had to know
3 accurately for management purposes because they were not
4 stream rearing salmonids, how many escapement we had,
5 and we had to know it on a weekly basis, and we had to
6 check it on the spawning grounds to get the net escape-
7 ment because sometimes mortality occurred enroute.

8 But, where you cannot corral a fish to a point
9 where sampling is possible, such as tagging, and the
10 physical factors permit an accurate statistical sampling,
11 which does not exist with steelhead, about the only
12 thing you can do is index it, have a wide limit on
13 the requirements of escapement since you are dealing
14 with small numbers and as I recommended in this report,
15 where obstructions are - - I didn't say obstructions,
16 but I meant that - - where there are dams, fishways,
17 or racks for example, it is highly desirable, for manage-
18 ment purposes, the escapement be enumerated since they
19 would be physically observed and physically enumerated.

20 Q These escapement enumerations, I take it, being more
21 difficult with stream rearing salmon and salmonid such as
22 steelhead, is more costly, given sufficient funds to do
23 the job, can you achieve the same kind of accuracy as
24 you do with sockeye?

25 A I think you would do harm to the resource in order to do

1 it, and I would certainly hesitate to recommend something
2 that cost \$10.00 for every dollar's worth of value, no
3 matter how you calculate the value, that is what I feel
4 about it, my personal opinion with Steelhead - -

5 Q You could reach the same level of accuracy, but it would
6 perhaps - - ?

7 A You have to physically handle the fish and whenever you
8 have to do that, with Steelhead, other than for example,
9 taking purposes, it is my opinion you have damaged the
10 run, I think the record will show that.

11 Live counts, observations during spawning, most years
12 would give you an index of variation, but even then, it
13 is subject to considerable error because, wet springs,
14 physically, it's impossible to make a comparable live
15 count to a dry spring.

16 Q Will you define what you would term the most desirable
17 means of determining escapement counts for Steelhead and
18 then indicate what percentage of error would occur in
19 your opinion, under that system?

20 A I think for practical reasons, which involves economics
21 of managing the resource, that live count index as a
22 general application is the best you can do, but error
23 in some years can approach 100%. But, you have to throw
24 those years out as far as escapement, you are dealing
25 with such a small number of fish and if your safety

1 factor is sufficient, economically, it's not worthwhile,
2 but adding further, I think the catch as computed from
3 the punch card, while it is, in my opinion, subject to a
4 possible bias error and my opinion is supported by
5 statisticians, including Oregon State University and that
6 is discussed at length in this report.

7 I think that probably is the most consistent index
8 of abundance and escapement, as I said in this report,
9 under the present fisheries, and that includes all
10 fisheries as they exist in Puget Sound at least, not
11 necessarily the Columbia River, the escapement tends to
12 be fixed inside a number, but not in percentage.

13 O It's a fixed number then, in each stream?

14 A That's right. It tends to be.

15 Q It tends to be?

16 A If you have a small run, you get the same number of
17 escapements because of the character of the hook and line
18 fishery which usually occurs after any other fishery,
19 and is related to fishing interest.

20 Q This number of fish that escape, is generally in the area
21 of the optimum in terms of stream rearing capacity?

22 A I would say this, that probably represents a surplus,
23 but a practical surplus. In other words, due to all the
24 complications involved, the surplus is far cheaper
25 economically or any other way, within the definition of

1 conservation as practiced, far cheaper, and is probably
2 the only system that is economically practical and I
3 think that is behind all the restrictions against taking
4 Steelhead, is that very fact.

5 Q Based upon what you said earlier, about being something
6 close to a fixed number for each stream, would you say it
7 is impractical or impossible to determine a state wide
8 percentage escapement goal?

9 A Well, each stream has its own conservation problem, every
10 stream represents a separate population, so you can't have
11 a state wide goal. It's not reasonable, it's improbable,
12 impractical.

13 Q If you studied the streams of Puget Sound Drainage, could
14 you come to an accurate figure, an escapement number for
15 each of the streams, a pretty accurate number?

16 A It would have to be for each of the streams, as I said,
17 you can't enumerate these things, you merely - - not from
18 a practical standpoint - - I think the State and its
19 management of the Steelhead resource has been from a
20 practical, economic standpoint, has regulated the
21 fishery, the Steelhead fishery, in such a manner that the
22 most practical escapement, even though it may represent
23 a surplus, has been achieved, and would probably be the
24 only method in my opinion, although I have not - - my terms
25 of reference didn't require an analysis of the economics

1 of that, from a detailed standpoint. I think it's the
2 only method which will work within the limits of the
3 value of the resource. No matter how you measure the
4 value of it.

5 Q If you were given an assignment to quantify an optimum
6 escapement goal on each of the five rivers, it could be
7 done reasonably accurately, is that correct?

8 A Quantify, -that means - -

9 Q Come up with the number of fish that escape out of each
10 river.

11 A I see no purpose to it in the case of the Steelhead.
12 In the case of more numerous stream rearing salmonids,
13 such as the coho, it becomes a problem, but even there,
14 to my knowledge, the Department of Fisheries of the State
15 of Washington has never attempted to do it because of the
16 intricate, expensive magnitude of the problem. They have
17 never considered it practical to do so.

18 Q It could be done?

19 A They have a surplus in most cases.

20 Q If you wanted to do it for Steelhead, you could do it,
21 is that correct?

22 A I question the word want?

23 Q If you were directed to do it, or the Washington State
24 Game Commission determined to do it?

25 A I would question the directive. I would question it as

1 being unnecessary and waste of money.

2 Q If it were determined that there was, for whatever policy
3 reason, a desire to harvest the optimum of fish each year
4 from each stream or from one particular stream, a means
5 of determining that would be to find out the optimum of
6 fish that need to escape to perpetuate the resource and
7 then be sure that that number of fish escape - -

8 A I would have to argue very vehemently in the case of
9 Steelhead, that the directive was wrong and I would not
10 take the job.

11 Q Assuming it is necessary?

12 A I have just said, it is not necessary, I have studied
13 the fishery and the size of the population is so small,
14 so small, relatively, and the task of avoiding a surplus
15 is economically impractical. The surplus is not detri-
16 mental to the maintenance of the population, and I don't
17 think under the variable physical conditions that occurred
18 in the stream, high water, for instance, that the job
19 could be done year in and year out with any accuracy
20 without physical barriers which fall within the impractical
21 economic limits in relation to the value of the resource.

22 Q But you have testified that the number from year to year
23 stays fairly constant, in the number of fish that are
24 needed for escapement?

25 A Under present regulatory conditions, yes.

1 O If that number stays fairly constant, my question is, if
2 you want to or needed to, could you determine what that
3 number was for any particular stream?

4 A For one year, possibly you could, but it would cost a lot
5 of money.

6 Q And once you determine that, it would be a figure that
7 would not vary greatly from year to year, so you wouldn't
8 have to do it every year, you wouldn't have to determine
9 a new escapement goal every year?

10 A Not under the present regulatory conditions. Furthermore,
11 I want to clarify, you either go out and build a very
12 expensive structure which physically stops the run, where
13 you can either count the fish by observation or physically
14 handle them and count them, that is the only method to
15 my knowledge which you can get an accurate estimate, a
16 reasonably accurate estimate. I say reasonably accurate
17 because any obstruction holds up the fish and all of them
18 do not necessarily go through.

19 As I said, I am probably more experienced with
20 sampling, tagging and sampling, later sampling - - in other
21 words enumerating the total population by sampling, tag-
22 ging and later recovering, your errors would be so great
23 and in a positive direction, that they would not be
24 relative to anything in relation to the management of the
25 resources.

1 Q I think we have established then, correct me if I am
2 wrong, if, for instance, you were directed or the
3 fisheries biologists were directed to determine the
4 number of fish that needed to reach the spawning ground
5 in say, the Skagit River, you could determine, with
6 reasonable accuracy, the number of fish that need to
7 reach the spawning ground?

8 MR. CUFLEY: What fish are you talking about?

9 MR. GETCHES: Steelhead.

10 A You mentioned the Skagit River, I am a little handicapped
11 in answering your question. In the first place, I had
12 a reputation over some forty years as a biobgist and as
13 a practical administrator, that people don't tend to set
14 policies in contradiction to my expert opinion, so I am,
15 when you say I am directed - - I would be directed to do
16 this?

17 Q (By Mr. Getches) Or if you wanted to do this as an
18 academic matter?

19 A I wouldn't want to do it as an academic matter because
20 I wouldn't see any biological or practical purpose to it
21 in the case of the Steelhead because it's a lot easier
22 to guaranty a surplus - -

23 Q You see no practical purpose in determining how many fish
24 need to escape in order to preserve the resource?

25 MR. CUFLEY: Again, we are talking about Steelhead,

1 are we?

2 A I would say this, that to get any better information
3 than what we have, which is definitely, in my opinion,
4 in most cases under the existing regulations, surplus,
5 to refine that figure would be economically a waste of
6 time, and in my judgment, if I were to do that, it should
7 be challenged as a waste of money.

8 Q (By Mr. Getches) Is it your testimony that it is im-
9 possible to find out what the optimum number of Steelhead
10 for escapement in any particular river system is?

11 A I do not say that.

12 Q Is it possible to determine the optimum escapement
13 number for any particular - -

14 A Yes, but there are far greater problems.

15 Q I realize that, what I am trying to establish, whether
16 it can be done?

17 A It can be done.

18 Q If it is done, and you know the approximate number of
19 fish in a run, you can then determine the optimum number
20 of fish to be harvested?

21 A For that one stream.

22 Q All right, is it possible to each year, to take a stream
23 and reasonably accurately predict the run size?

24 A No. Not anymore.

25 MR. CUFLEY: Again, what are we referring to, Steel-
head?

1 THE WITNESS: I assume so.

2 Q (By Mr. Getches) So it's not possible to predict run
3 size?

4 A It used to be, within reasonable limits, which you
5 would not accept, you probably would not accept - -
6 30% variation, 20% or 30%. I think we have enough
7 information in the natural state to predict steelhead
8 runs to whether they are going to be good, average, or
9 poor, but we have so fouled up these streams with fish
10 cultural operations involving all stream rearing salmonid
11 that you can't predict anything anymore until we get a
12 new set of measurements or else correct the situation we
13 have caused.

14 Q (By Mr. McGimpsey) Can you predict, say as a run begins,
15 as it begins its return for fresh water, at that time,
16 can you reasonably, accurately, predict the size of that
17 run?

18 A Well, I assume you mean after you have harvested some of
19 them?

20 Q No, before a harvest begins, but as they begin returning
21 from the sea.

22 A As far as Steelhead are concerned, my original reply
23 covers the situation. You probably could, with some
24 degree, with a practical degree of accuracy predict
25 whether the run was going to be good, average or poor.

1 But, I do not think, due to the artificial factors
2 introduced by man, that you can do that at all anymore
3 until we set up a new set of criteria.

4 Q And these artificial factors are primarily the propagation
5 activities of man?

6 A Yes.

7 Q (By Mr. Getches) Now, we were talking about escapement
8 goals a few minutes ago, I think you indicated that a
9 percentage goal is kind of meaningless, since it varies
10 from stream to stream in terms of the number for Steel-
11 head and other stream rearing salmonids, is that correct?

12 A No, I didn't indicate that. Excuse me, in the case of
13 Steelhead, the production of that stream is related to
14 a combination of physical size plus its rearing capacity
15 for a particular species involved. So, I think those
16 things can be rather simply measured which would mean
17 that the percentage formula within reasonable limits of
18 variation would always apply to all of them. In other
19 words, one stream may have poor productivity, very limited
20 rearing area, and naturally, it produces 500 steelhead - -
21 well, to put 100% of those fish up there will not increase
22 the run one iota. It will still only produce an average
23 500 Steelhead. Another stream, which is a large water
24 shed and productive rearing area will produce many times
25 that, but a percentage of that is in relation to its

1 productivity, and that percentage, getting back to
2 escapement again, can vary from a practical standpoint
3 in management, must. Whether it's fifty, or sixty, or
4 seventy per cent, is of no moment because surplus
5 escapement in the case of the stream rearing salmonid
6 has never been demonstrated to be harmful, they have a
7 natural adjustment period so early in their life history
8 that any surplus fry are lost very early in life and
9 don't live sufficiently long to cause any harm to those
10 fry which are more capable of absorbing niches and
11 habitat.

12 Q What is a safe percentage figure that you would apply
13 to the returning run in any river in the Puget Sound
14 drainage?

15 A On Steelhead?

16 Q On Steelhead.

17 A I think you would have to possibly relate it to other
18 information, or information on other species, but I think
19 I stated in this report that the percentage required is
20 rather low.

21 Q Such as?

22 A Certainly 20% is more than adequate in my opinion, in any
23 stream rearing salmonid where living space is the main
24 control of the population, adequacy of it, but whether
25 the escapement is actually 50%, I know that 50% probably

1 approaches the average.

2 Q So, although 20% probably would be adequate for most
3 streams, 50% comes closer to the actual escapement?

4 A 50% to 30% seems to be in those places where it was
5 fairly well measured in isolated cases in Oregon and
6 Washington. If my memory serves me correctly, it varies
7 between, under modern fisheries, in highly utilized
8 streams, between 50% and 30%.

9 Q (By Mr. Cufley) Excuse me, are we talking about natural
10 conditions or conditions that man has - -

11 Q (By Mr. Getches) You were describing the situation as
12 it now exists, is that it?

13 A Well, you have a highly variable set of conditions, yes,
14 as far as fisheries is concerned, the harvest, yes, I
15 believe that the escapement in some places is as low as
16 perhaps 25% or 30% but more likely I think it is in the
17 neighborhood of 50%.

18 Q So, typically, there is ten to thirty per cent of the
19 fish that reach the spawning ground that are not
20 actually necessary for perpetuation of the resource at
21 this time?

22 A If you are speaking academically, that is probably true;
23 from a practical standpoint, you need those to avoid
24 spending so much money that the resource is not worth,
25 to harvest them.

1 Q Theoretically, they are very harvestable fish within
2 limits of conservation, if they were harvested, the run
3 would be perpetuated?

4 A There are a number of things involved here. You are
5 making the harvest of a resource, you do it so that you
6 cannot be accused of special privilege. How you harvest
7 those if you did harvest them, which I would rather,
8 if you have an increased harvest interest, or a broadened
9 harvest interest in this case, this case involves the
10 Indian fisheries and the Indian fishery only, I have my
11 personal opinions regarding the value of this testimony.
12 But, the Indian fisheries, due to its modern permitted
13 character of using gill nets and set nets, regardless
14 of the local custom of rearing, is going to have to be
15 operated at the mouth of the river. They can't operate
16 any place but the mouth of the river so you are presumably
17 discussing the increased harvest or sharing of the harvest
18 by the Indian population which will - -

19 Q I would like to limit the question to, is it true that
20 under present circumstances there tends to be an excess
21 of ten to thirty per cent beyond that number of Steelhead
22 needed for escapement that is a potential harvestable
23 number of fish?

24 A That is what I am getting at. You use potentially, and
25 harvestable, to change the existing regulations.

1 Q I don't want to talk about regulations.

2 A You can't look at harvest by hook and line when you
3 talk about going from one gear to another, then you open
4 up a whole series of things which raises the desirability
5 of the harvesting - -

6 Q If those fish were taken, if the ten to thirty per cent
7 more fish were taken out of a typical Puget Sound drainage
8 stream, and we are talking about Steelhead fish, would
9 there be adequate fish for escapement?

10 A Yes. I would have to say so, but I question the
11 practicality of it, of considering the point that you
12 are opening up, because that is not my decision.

13 Q Well, the point that I am trying to get at it - -

14 A There is a surplus, I am saying that the surplus itself,
15 it's not practical in my opinion to harvest that surplus
16 even though the surplus exists, and there is from ten
17 to - - I will accept your figure that you just gave, that
18 could be harvested, but the question of being able to
19 harvest them raises a whole new set of questions.

20 Q Well, we will get to those questions. I am trying to
21 establish that there is a surplus of a fish available
22 for harvest. I think that in your report you have
23 indicated that there is an escapement of salmonid on
24 Washington streams that has far exceeded the amount to
25 maintain the maximum natural production?

1 MR. CUFLEY: What page is that, please?

2 MR. GETCHES: Page seventy-three.

3 A I don't - - well, I did say the recommended escapement
4 to absorb the rearing capacity of Minter Creek is far
5 below the usual escapement in spite of a major commercial
6 and sport fishery during the salt water life history of
7 the species. There's no question but what there is a
8 surplus, the fisheries department has found that the only
9 safe way to manage fisheries, from an economic, practical
10 standpoint is to have a surplus and the game department
11 has found the same to be true. And, to do anything else
12 with this particular species, we did not do it with the
13 sockeye or the pink salmon or we never obtained the
14 desired escapement with the pink salmon because the runs
15 were so decimated we built them to a size to fill up
16 spawning ground but with the sockeye we announced the
17 escapement in advance of the run, numerically, and we
18 achieved it or we reported our error and in an annual
19 report by stream so when I say that I am not prejudiced,
20 I am agreeing that we did it with the non stream rearing
21 salmonids, practically, and efficiently, but I agree with
22 the fisheries and game department that the surplus is the
23 only practical way to deal with stream rearing salmonids.
24 Q Although, as your report indicates, at page eighty-one,
25 you say "The number of adult stream rearing salmonid

1 available for reproduction is usually in excess of
2 that required for producing juveniles to utilize the
3 stream rearing capacity"?

4 A Yes. I didn't say there was any harm done.

5 Q Yes, but if you are able to quantify that excess number,
6 then that number of fish would clearly be harvestable,
7 is that right?

8 A Well, I will say that in the case of Minter creek, I
9 built the station, or it was my recommendation and I was
10 intimately associated with the original operation, it
11 was quite easy to enumerate, in relation to that particu-
12 lar station, in the small creek, to enumerate the escape-
13 ment. I might say after extensive work in trying to
14 enumerate the escapement visually, a hundred fish was the
15 most I estimated occurred as far as coho was concerned.
16 We put in a weir for assessment and it was over 2,000.
17 Dealing with the method of escapement, that was the error
18 between visual and physical handling.

19 It took about - - the station had been operating
20 since the late thirties, of course, these answers have
21 come up as far as the desired escapement is concerned,
22 back a number of years ago, but it took quite a few years
23 to arrive at a definition of the optimum escapement
24 in Minter Creek, even with the expensive station and
25 expensive operation, one to two biologists, year after year

1 and to conduct these operations, Salo and Bayliff
2 reported on this problem in 1958.

3 (Recess taken for ten minutes, reconvened at 10:20.)

4 BY MR. GETCHES:

5 Q You indicate on page fourteen of your report, since
6 there is no commercial season for Steelhead in marine
7 areas, the Indian Reservation Fishery will usually harvest
8 fish that are wholly deductible from the potential hook
9 and line catch, rather than from escapement, are you
10 referring to Steelhead there?

11 A Only, yes.

12 Q Is this Indian reservation catch a catch by gill net?

13 A I am assuming so in the statement and that the Indian
14 Fisheries is below the sport fishery, which is usually
15 the case, but not always.

16 Q You are indicating here that the impact of this fishery
17 is primarily on sportsman and not on conservation itself,
18 is that right?

19 A Under present circumstances you could reach a stage, and
20 I believe the Puyallup River did, where they were actually
21 impairing the escapement. That is a matter of management
22 status that I don't know, I do know the Indian Fisheries
23 of gill nets, that it gets back to the discussion you
24 shut me off from, the Indian Fisheries, that this case
25 is all about. Due to the fact that when they would use

1 gill nets and set nets, permissively, which they never
2 used in the Frazier River anyway, you would have to go
3 to the mouth of the smaller rivers, it doesn't apply to
4 the Columbia, but Green River, for instance, it has to
5 be done in the mouth of the river, and the Duwamish, the
6 Skagit - - with rare exceptions on the Skagit, it has a
7 few exceptions due to its size.

8 In order to operate, they have to go to the mouth
9 of the river. They are catching the fish before the
10 sportsman or the white people have a chance to conduct
11 their harvest with hook and line, so that the fixed
12 escapement theory or philosophy, because it has some fact
13 behind it, if you have only five hundred fish available
14 and your normal escapement is two hundred and fifty, and
15 the Indians at the mouth of the river catch two hundred
16 and fifty, the catch would be zero, theoretically.

17 If you have a reservation half way up the stream and
18 there is a major sports fishery below it, or hook and
19 line fishery, only that portion of the run that goes
20 past the reservation fishery would be effected, you
21 understand that, as I am expressing it?

22 Q Yes. The quote that I read from your report would
23 indicate though, that if on reservation fisheries, the
24 Indian fisheries took up to the number of fish necessary
25 for escapement, that there would be zero hook and line

1 fishing available to the sportsman, is that right?

2 A Yes, and that might not require very much regulation
3 because of this reducing interest - - steelhead is aw-
4 fully hard to catch, with hook and line, by most people.
5 When the word gets out that fishing is poor, people don't
6 go there because they are not going to spend the effort.

7 Q This is a self-correcting kind of theory?

8 A Yes, it is.

9 Q In the statistical section, you have referred to a series
10 of reservation fisheries, but this would apply to on or
11 off reservation fishing alike, wouldn't it? You have
12 used it as an example because there is actual on
13 reservation fishery?

14 A That is true.

15 Q But would apply - -

16 A Most of them are at the mouth of rivers, but it is
17 deductible from the sport catch even though it is on the
18 reservation fishing. But, if our country makes these
19 decisions or treaties you have to live with them and live
20 up to them, but the effect on the resource, theoretically,
21 was considered in making the treaty, so you live with it.

22 Q Considering all the means you know of, of harvesting
23 fish, what is the most efficient means you are aware of,
24 for taking fish?

25 A Efficient in terms of economic operation?

1 Q In terms of being able to take the larger number of fish.

2 A You mean currently in operation, well, yes, which
3 eliminates fish traps.

4 Q No, if it's fish traps, so indicate.

5 A I think I can say that the more favorably located fish
6 traps caught far more fish, individually, than any other
7 gear. There were some with very poor fish locations,
8 when they didn't even put them in operation prior to
9 initiative seven-seven, except in known big years of big
10 runs. There is the physical qualification of the trap
11 location, Lummi Island, for example, was called the million
12 dollar trap.

13 Purse seine is next, prior to initiative seven-seven
14 Purse seining was the next more efficient followed by
15 gill net, and that doesn't mean the return per man effort
16 is most efficient, I am talking about the number of fish
17 caught in the unit of gear. The purse seine has from
18 five to nine men on it, and the gill netter has one.

19 Q In terms of regulation, if you are not concerned with
20 who gets the fish, or any other social policy, you want
21 there to be enough fish to get to the spawning ground to
22 perpetuate the resource, and you want to catch the maximum
23 number of fish that are left over, what means would you
24 choose to catch the maximum number of fish and be assured
25 that a number, a sufficient number of fish got to the

1 spawning ground?

2 A You mentioned that if I am not concerned with the social
3 aspects of the situation?

4 Q That's right.

5 A I don't think that you can add that statement in there,
6 because our entire life, we are a society, and we have
7 legislative processes which set up what we are to do.

8 Q I am asking you only from a physical standpoint, is it
9 within the realm of physical capabilities?

10 A Well, I suppose you can go out and in a kill with rote-
11 none, kill half the population if you want to harvest
12 them, you can harvest them, there is nothing against eat-
13 ing fish killed with rotenone.

14 Q Could there still be an adequate number of fish left for
15 escapement?

16 A By selection of the rotenone, you could come close to
17 regulating the fishery. You want to know the best, most
18 efficient way, you say the most efficient way to - -

19 Q I mean the most precise means.

20 A I think it might be a question - - precise means - -
21 might be argumentative because one physical form of
22 harvest and a means of killing them, and later collection,
23 I don't know.

24 To answer your question, it depends entirely on first,
25 if you are talking about catch fish, physically, and

1 harvesting them, it has to be qualified by physical
2 conditions of where you have got to operate.

3 Q Sure, if you are talking about a stream or river harvest,
4 what I am trying to ascertain, what is the most efficient
5 and regulatable means of harvest of fish so that you can
6 allow the optimum to go for escapement and harvest the
7 rest?

8 MR. MCGIMPSEY: What do you mean by efficient, Mr.
9 Getches?

10 MR. GETCHES: Efficient, catch the most fish.

11 MR. MCGIMPSEY: You mean, economically feasible as
12 well as physically efficient?

13 Q (By Mr. Getches) I want to know what means you would
14 use to harvest fish in order to capture the most fish
15 without impairing escapement goals?

16 A I can't answer that question from an arbitrary standpoint,
17 I have to consider all the ramifications of it, and I
18 would say hook and line is not the most efficient, but
19 the most practical, as far as Steelhead is concerned.

20 Q Hook and line is the most practical?

21 A Yes, from a management standpoint, you can't have anything
22 else, to my knowledge.

23 Q It is more practical than putting a trap at the mouth
24 of a stream and catching every fish and releasing that
25 number necessary for escapement?

1 A Well, in the first place, no one would let me do it.

2 Q I am not asking what is legal, and I am not asking what
3 is socially desirable; I am asking what is physically the
4 easiest way to catch the maximum number of fish and allow
5 for escapement. I am suggesting that maybe a fish trap,
6 is that right?

7 A It would depend entirely on the - - ignoring all the
8 limitations of society, some places it would be physically
9 impossible to build a fish trap and harvest Steelhead,
10 from a practical standpoint, most places. At least, again,
11 I have to bring in the economics of it, if you want to
12 put up ten or fifteen million dollars, I can build some-
13 thing at the mouth of the Skagit River, where I could
14 control the run of Steelhead, put one over and take one,
15 and put it in the box, it would take, well, a great amount
16 of money and no one would consider it practical. There
17 are other streams where you would go to racks, where the
18 water flow - - where hydraulically, you can put it in, a
19 rack or a trap, an obstruction where the fish, in order
20 to get over, would have to go through there. For a
21 reasonable price, not beyond astronomical limits, you can
22 put in, the same as the fish management agencies do,
23 for Salmon or Trout, they put in racks, stop the run,
24 count the fish - - that's a small stream - - other places
25 where you have estuaries, you use gill nets, but the

1 escapement measurement would not be precise in any manner
2 of means. You get high water and your escapement past your
3 gill net could be ninety-nine per cent, you get moderate
4 water or low water, or after a rain, where the water
5 becomes murky, maybe the escapement is ninety-eight per
6 cent, which makes a great deal of difference for a
7 particular day.

8 Q Is it fair to say that - -

9 A (Continuing) Put in enough gill nets, of course, I will
10 have to change my percentage figure.

11 Q It would be variable to the same degree? If you had
12 absolute control over the fisherman, with hook and line,
13 gill net, fish trap, would it not be true that as
14 between the three, the hook and line would be the least
15 efficient?

16 A Yes, in terms of catching the maximum number of fish
17 consistently. Under certain circumstances, a trap would
18 be useless. Under certain circumstances, the gill net
19 would be useless. The hook and line fisheries, the
20 physical conditions for operation of hook and line fishery
21 are throughout the river, whereas the others have to be
22 located where the physical factors are proper.

23 Q On the balance, though, is not the hook and line the
24 least efficient means of harvesting Steelhead?

25 A That is correct, and that is the reason it is used to

1 get this guarantee of this escapement.

2 Q Does hook and line have any adverse effects or aspects
3 to it?

4 A Looking at it in a broad sense, I would say no. You
5 might have a small hooking mortality, but there again - -

6 Q By that you mean fish that are partially caught and get
7 away?

8 A Yes.

9 Q With injuries?

10 A Yes. I don't doubt that there is some of that. In fresh
11 water, they are very resistant to it; in the high seas
12 the toll of fisheries destruction is terrific, but in
13 fresh water, where they are not feeding to any great
14 amount, the metabolism is down, I don't say - - I would
15 admit probably there is a mortality, but it's more at
16 a minimum because they are not, it's not like hooking and
17 releasing trout that are actively feeding, where they
18 swallow the hook. Very seldom, I don't think a Steelhead
19 could swallow a hook very far in its mature state, but
20 there would be mortality, but with surplus - - .

21 I would like to point out many times Steelhead are
22 caught that show evidence of being caught before. They
23 will bite any time. I have heard stories, this is a matter
24 of hearsay, but I have heard stories of catching Steelhead
25 a second time and have afterwards, they identify the

1 Steelhead as the same one, but that is hearsay. It's not
2 of my own knowledge.

3 Q How does the punch card system work, briefly?

4 A It's a sampling method of determining a catch, you buy
5 a license for a Steelhead, a punch card now, you are
6 given a card and legally required to return said card at
7 the end of the Steelhead season and upon catching of
8 every Steelhead you are to punch a hole in the proper
9 date and write in the name of the river. At the end
10 of the season, these cards are sent in.

11 Like a good many laws, it is impossible to completely
12 enforce it, and lots of people don't send in the cards.
13 So, you have a non response.

14 Q That is unlawful?

15 A I believe it is now. That is my impression, but perhaps

16 MR. CUFLEY: I think it's the same thing with the
17 Salmon punch card.

18 A (Continuing) But, it's not necessary that you get all
19 the cards back. Theoretically, on that basis, you would
20 have a complete enumeration.

21 Q Is it primarily statistical promotional, or to provide
22 some control on the number of fish taken?

23 A It's a statistic, theoretically to tell you whether
24 statistically, for management, it's to tell you whether
25 the run is up or down, and it's to tell you how many fish

1 caught, and then, as I used it first, I had to prove to
2 my satisfaction and to anybody else's critical satis-
3 faction, I hope, that the punch card system was useable.
4 There is an error of non response, but human bias is
5 consistent and in Oregon, they found out it was fifteen
6 or sixteen per cent.

7 Q Is there also the possibility of abuse in terms of
8 excess fishing that goes unreported, that this could be
9 undetected?

10 A I wouldn't say it was wide spread, because when you are
11 out in a boat, you catch a Steelhead, or even on the
12 bank, at any time when you are actively fishing or close
13 to the fishing grounds, you are checked and you have a
14 Steelhead in your possession and you haven't punched your
15 card, you are under arrest.

16 Q You have to punch your card at that time?

17 A That's correct. I would say that there is very little
18 violation of that, I don't say there isn't any, all laws
19 are violated, I think, but from a total standpoint, I
20 don't think it's very great. However, I am not in
21 the management or enforcement business, I have to take
22 information that is given to me verbally, as far as
23 those sort of things are concerned.

24 Q In your employment with the Department of Game, you have
25 had an opportunity to examine their files and data in some

1 detail, I presume, is that right?

2 A That's right.

3 Q What type of escapement data does the Department of Game
4 have on Steelhead?

5 A They have two sources. May I ask a question? All of
6 this information is in the report, and this report is
7 filed as a matter of record and available as evidence in
8 the court case, do we have to go into this?

9 Q We don't need to go into detail, what I am interested in
10 is the form of necessary escapement data that is main-
11 tained by the Department. Is it in terms of spawning
12 bed count, or what is it?

13 A I am put in a position of being critical, I was required
14 to do a critical analysis and I have made recommendations
15 which I understand are also a part of the report and I
16 have found that a great deal of the record - - with the
17 matter of personal knowledge, I was unhappy with the
18 record keeping department. As a matter of fact, I had
19 to spend two months on the planting records before I
20 could use them, and that's fully outlined in detail in
21 here. They do have, in recent years, they have made a
22 number of aerial counts. They have trap records, two
23 or three locations, but they have been relying on the
24 punch card catch for most of their management data.

25 I made a recommendation that they set up two or three

1 desirable, practical counting stations. I don't know
2 whether I said two or three, I said several, as a day to
3 day index of what was going on in the Steelhead run, and
4 that was one of my recommendations, which is included in
5 this report which is a matter of record.

6 Q That is the document entitled recommendations?

7 A Yes.

8 MR. GETCHES: That, I don't believe is in evidence,
9 we will have that marked.

10 (Deposition Exhibit No. 2 marked by the court
11 reporter.)

12 Q (By Mr. Cufley) I think it is an appendix, the recommen-
13 dations is an appendix?

14 A Yes, the reason is, as I understand it, this letter of
15 introduction of this report - - quote, detailed
16 recommendations, based on findings in the attached re-
17 port and relating to management, will be forwarded under
18 separate cover. Unquote.

19 MR. DYSART: May I ask a couple questions - - I don't-
20 as an identification, I don't mean to interrupt the
21 normal trend here - -

22 Q (By Mr. Dysart) Mr. Royal, I have a copy of a document,
23 and all of us apparently have the same copy, consisting
24 of twelve unnumbered pages, is that - -

25 A That is correct.

1 Q There is no signature or anything on the document that
2 identifies what it is, but do you recognize that as your
3 recommendation?

4 A That is correct.

5 Q And are these twelve pages the complete document? There
6 was some failing, it seems to stop in the middle and we
7 wondered whether there was more to follow?

8 A There was one thing, and it was referenced in the text
9 of this report, that the research program would be sub-
10 mitted, that was never done.

11 Q I see, that was one question I did want to get into. I
12 notice several references about see my detailed research;
13 you say that was never submitted?

14 A Never, I verbally tried to sell the program on the
15 Columbia River which would have found out a great amount
16 of information by coordinating the present activities of
17 present agencies, from identifying the coho to fish and
18 wildlife services of three states.

19 Q These unnumbered pages are the final recommendations?

20 A Yes.

21 Q I don't think this has been put in evidence before, so let's
22 make this Deposition Exhibit No. 2, and we will refer to
23 it as your recommendations later in the deposition.

24 A Actually, it was considered a personal, confidential
25 report to the director, but I have been told by the

1 Department that somebody requested it, and it became a
2 matter of record, so on that basis, I can't say that it
3 is personal or confidential anymore.

4 Q Have you any information that any of the recommendations
5 in this report have been accepted by the Department of
6 Game, in practice?

7 A Yes, I have been away since March 1, and I don't know
8 what has been done since then, but planting time,
9 planting size, a number of things of that nature, are
10 being religiously adhered to.

11 Q In your administrative recommendation, number one, you
12 say, quote, it is strongly recommended that the division,
13 under the division chief, be divided in three units.
14 Unquote. Has that been done?

15 A I don't know.

16 Q (By Mr. Cufley) May I interject, approximately when did
17 you submit the recommendation, I presume it was not on
18 the date of the report?

19 A No, it was after that. I don't know, I think there was
20 a letter of transmittal to the director, but all I have
21 ever seen is this.

22 Q Do you have an approximate idea?

23 A It was probably early in 1973.

24 Q (By Mr. Getches) Do you know, looking at the administra-
25 tive recommendation number two, recommending, quote,

1 the primary responsibility for investigation and other
2 actions in respect to water use, including pollution,
3 which might impair game fish populations, should be
4 removed from the regional biologist and transferred to
5 the Environmental Management Division, unquote. Has
6 that been implemented, to your knowledge?
7 A Please understand, these were sent in, early sometime
8 in 1973, and I left March 1, and I have no interest in
9 the fisheries whatsoever since that date.
10 Q So you wouldn't know whether these things have been
11 implemented?
12 A I couldn't care less.
13 O All right.
14 A I was very sincere in making the recommendations.
15 Q One thing you point out in here, the Steelhead escapement
16 data is severely lacking?
17 A That is detailed data.
18 Q Yes, now, what is the effect of not having - -
19 A What page are you on?
20 Q There are a couple places where you make reference - -
21 well, on point seven, you recommend that special effort
22 be expended in obtaining Steelhead escapement figures
23 and all escapement data should be summarized. How would
24 this help the Department?
25 MR. DYSART: There are two sevens, you are reading,

1 I think, from the one under operational recommendations?

2 MR. GETCHES: That's right.

3 MR. DYSART: I have numbered my pages for convenience,
4 in pencil, it's the ninth page.

5 A Please understand that there are two types of statistics,
6 there are statistics merely for the resource identification
7 magnitude, and there are biological statistics for
8 management. They have no biological statistics, they
9 don't know, they know the catch. The catch is not
10 broken down into different ages of maturity; for in-
11 stance, three years in the ocean type, or two years in
12 the ocean type, or two years in fresh water type, and
13 one year and three years, they are on an annual basis
14 only. They are not on a daily basis. There is no need,
15 really, for assembling data in total population, thence
16 it seems to be the case that the regions function in
17 relation to the variations I am talking about, but I have
18 moreorless told the Department through that (indicating
19 the exhibit) for the research supervisor or director or
20 chief, or whatever you want to call it, which I have
21 recommended, that he should have data, if and when they
22 appoint one, and if they don't appoint one, they should
23 have it then in the management division which would tell
24 what is happening to the total population on a section-
25 weight-year-basis, for instance, it was obvious in 1963,

1 that the run of - - or '73, that the run of three year
2 old, normal hatchery fishery was way down, it was so
3 obvious because there are six or seven pound Steelhead
4 and this occurred in Oregon at Wells Well. But, the
5 three year in the ocean type, nine to twelve pound fish,
6 made up a great percentage of the catch.

7 Well, the typing of these various sections are
8 important, in relation to analyzing the total catch,
9 whether the three year in the ocean type come in late or
10 early, but there is no record whatsoever of the number
11 of two year in the ocean hatchery fish, and three year in
12 the ocean hatchery fish. There is only total catch
13 figure on the record of hatcheries Steelhead, or of
14 Steelhead taken, both. Nobody knows how many wild fish
15 were taken, whether we are completely destroying the
16 wild fish population, there is no data on it. Whether
17 the Fisheries Department is destroying it with their
18 planting of stream rearing salmonids. I know of no data
19 on it, I don't think the Fisheries Department has on
20 coho, but that is not a part of this discussion.

21 Q Has the Fisheries Department, if the data were kept as
22 you say it should be kept, would it be possible to
23 increase the catch to save money and provide greater
24 enhancement of natural runs, is that fair to say?

25 A I said in here that we had a density factor appearing on

1 the Steelhead which we could not define as to its
2 character. I have said in here we do not know whether
3 we are completely destroying wild population, but I
4 presented a great deal of data to prove that increasing
5 the plant of Steelhead is not increasing the production
6 in terms of catch. Initially, it did have decidedly,
7 but now that those plants have been increased, decidedly,
8 there is no more increase in production. So, I said that
9 we had to eliminate all of our bad practices that we
10 could control, and which were obvious, and after that,
11 then we can start to approach and analyze what this
12 density factor was, trying to define it, but to continue
13 to increase the plant was a waste of time under the
14 present circumstances.

15 A lot of things had to be corrected, the bulk of
16 this report is building up to an analysis of population
17 dynamics and the effect of hatchery operations on those
18 dynamics. Now, we can control a lot of them, but
19 numbers alone may eventually, just physical numbers, I
20 don't say it will, but physical numbers have been known
21 to create stresses which prevent the population from
22 getting any larger. This eventually could apply to
23 another stream fishing salmonid, salmon, but whether
24 or not that density barrier is going to be in relation
25 to the position of the particular species in the

1 salmonid complex, the total complex. I don't know.

2 Apparently it is going to be.

3 Q Is this recommendation for better record keeping toward
4 the end of increasing the total number of harvestable
5 fish?

6 A That is the only way we have any hope of obtaining that,
7 I guarantee nothing, I only point out the obvious things
8 that are wrong, and we correct those, and then we go
9 from there.

10 Q As another recommendation, under administrative, I
11 believe number five - - rather number seven, you say
12 quote, there is serious need for establishing close and
13 continuing administrative liaison with all other agencies
14 involved in raising stream rearing salmonids, particularly
15 the Washington Department of Fisheries, to eliminate those
16 practices which tend to create either undesirable
17 inter specific competition, or which tend to reduce
18 or eliminate natural reproduction. Unquote. I take it
19 from that, that in reproduction you have identified some
20 problems with their segregated system?

21 A A great number of them, whether that has been done or not,
22 I don't know.

23 Q Would you think it would be desirable to have much closer
24 interchange of information then, amongst the other
25 technical people within the two departments?

1 A That is a secondary thing, but the primary thing is to
2 obtain unified fish cultural practices, which are directed
3 for the maximum production, and not in competition with
4 maximum production.

5 Q Could this be done by having the same team of biologists
6 managing the Steelhead and other anadromous fish re-
7 sources and planting programs?

8 A I would hope so.

9 Q Could you give a brief definition of the inter specific
10 competition you have referred to here and extensively
11 in your report?

12 A It is the effect of competition between two or more
13 species on the survival of the other.

14 Q Would you see any problems with all of the salmonid
15 resources of the state being managed by one department
16 rather than two?

17 A I am not qualified to answer that question.

18 Q You do see problems with it being managed by two
19 departments?

20 A There are always problems between departments, but
21 normally they are solved by proper liaison. Apparently
22 there exists at this time a communication problem, I
23 have said it is not satisfactory in regard to the problems
24 raised. Please understand that the recommendations and
25 considerations of this report as far as the published

1 literature is concerned is rather progressive and is not
2 necessarily accepted by all biologists, particularly
3 those who are not good population dynamics people. It
4 is going to take time for all these things to be accepted,
5 although it's received favorably, no argumentive response
6 to the report.

7 Q In your recommendations here, you refer to the hatchery
8 program, and in recommendation number six, under
9 administrative, you say, quote, in view of the negative
10 results accruing from the recently increased planting
11 program of anadromous trout, further expansion of this
12 program should be discontinued - - . Unquote. What are
13 the negative results you are referring to?

14 A No return.

15 Q No additional return?

16 A No additional return. Per unit of additional plant,
17 you get the same number back from two million, for
18 example, we'll say to be arbitrary, as you would from
19 three million.

20 Q How are the decisions made as to numbers of fish that
21 are planted in each river by the Department of Game?

22 A That, I didn't go into that subject.

23 Q You don't know how that is done?

24 A No, that is a management policy, and I was not concerned
25 with it.

1 Q How are decisions made about where to place the fish
2 in the stream rather than planting?

3 A That, of course, is a management decision, but it is
4 based upon a certain amount of findings by both Oregon
5 and Washington, and I think the management division has
6 demonstrated that they are familiar with the known facts
7 required by research and they are generally following
8 that.

9 I discussed the details of that, but I didn't make
10 specific recommendations; rather, fish can come back to
11 the planting location, and I think I said that in order
12 to get a maximum return, there might have to be a
13 compromise between the maximum production and maximum
14 harvest as far as planting locations are concerned. I
15 think I said something of that nature in this report.

16 Q Isn't it true that the number of adults produced per number
17 of planted fish is a function of the type, places and
18 number that are planted?

19 A Yes, but there are other factors, several other factors.

20 Q What are some of those?

21 A Time, places, numbers, well, size, for instance, if they
22 are not right size, you won't get anything back. If they
23 are not of good quality they will immediately go into
24 stress and probably die of disease if they do migrate;
25 if they don't migrate, no matter what the quality is, they

1 will die. There's no food for them.

2 Q You have indicated as plant size has increased, the run
3 size has not increased in recent years.

4 A That is the origin of the density barrier discussion,
5 as originated - - the only way to control it is to cut
6 out our known bad habits, ourselves, despite all the
7 agencies involved, all of them cut out their bad habits.
8 Then, we start from there, trying to understand the den-
9 sity barrier.

10 Q Has there been much research in the density barrier by
11 Department of Game?

12 A To my knowledge, no one has recognized it, that it
13 existed. I think the situation is going to get worse
14 before it gets better.

15 Q In your recommendation number eight, under administration

16 A Incidentally, the Federal Government itself is involved
17 in a more limited way in the same bad habits.

18 Q You refer to adverse hatchery practices, particularly
19 those related to coho and chinook salmon - -

20 A They are all listed in this report.

21 Q Since we are referring to recommendations, could you just
22 summarize briefly?

23 A Well, I don't know if I can remember all of them or not,
24 but the major factor involves the creation of residualism,
25 making a desert out of our streams without producing fish

1 from the residual fish, that is the major bad practice,
2 planting pre-smolts, and I am not - - the Game Department
3 is probably freer from that by and far than the Fisheries
4 Department is.

5 I am not - - don't misunderstand, I am not criticizing,
6 I am merely pointing out that these things are occurring
7 and that I have inferred they have not been recognized,
8 the effects of it, but if you are a hatchery superinten-
9 dent and first you take more eggs than the capacity of
10 the hatchery and if an accident occurs, you have the
11 surplus to replace those lost by the accident. But, in
12 any event, you end up in the existing practical operational
13 sense with more fish than you can raise to migratory
14 age, so you plant them.

15 Well, the planting of those, they become competitive,
16 first with the wild fish and for a time with the hatchery
17 fish during migration. They eventually die from starva-
18 tion, and they create a desert of the stream and no wild
19 fish can survive because there is no food for them, that
20 is in a general sense, I don't say no wild fish survives,
21 but you create, you tend to create a desert without pro-
22 ducing anything.

23 Q So, it's possible by stocking pre-migratory fish of
24 either salmon or Steelhead to destroy the wild population?

25 A That's correct. Furthermore, it is possible to destroy

1 the ability of the properly planted fish, too, from going
2 into a stress and dying from Vibrio at the mouth of the
3 river because migration is not here today and gone
4 tomorrow. It is here. It is release today and two
5 weeks later in most cases they may or may not be in salt
6 water.

7 During the summer, if there is no food they are
8 weakening and beginning stress so when they hit salt water,
9 they enter salt water and encounter the existence of
10 disease organizations, organisms, such as fisheries on -
11 they are very vulnerable to virulent outbreaks and
12 eventually mortality.

13 Q Did you uncover in producing this report that either the
14 Department of Game or the Department of Fisheries had
15 identified - - physically reduced or destroyed the natural
16 runs through planting pre-smolt fish?

17 A Well, there was very strong evidence from the number of
18 wild Steelhead that was declining, and that was discussed to
19 some length. It was not positively related to planting
20 practices, it was merely identified that it had declined
21 and it was decided in this case, this was the reason.

22 Q Well, part of the problem, I take it, that you have
23 identified, is the hatchery practice of each of the
24 Departments, separately, and part of the problem their
25 failure to coordinate amongst themselves?

1 A That's correct.

2 Q Some of your statistics on page seventeen and eighteen
3 of the report in the table identified as table six,
4 indicates high returns of hatchery fish in the early
5 months of the run, with the percentages and numbers of
6 wild fish increasing in the last four months, where is
7 this differential in return time?

8 A Well, a number of biologists would possibly say it's because
9 you take the early eggs originally of the wild fish,
10 the early maturing eggs and have concentrated on doing
11 that on each succeeding generation whether they be
12 hatchery or wild. I don't think there is any positive
13 answer, although as I say, a number of biologists would
14 state that.

15 I think that there is another possibility that
16 their accelerated rearing produces the same size fish
17 in one year, compared to a wild fish of two years. It
18 could be responsible, but there is no way of settling
19 such a diverse explanation for this thing. It could
20 develop, be either one and probably is, or it may be
21 combination of both. But, the fact that the hatchery
22 fish come back earlier than the wild fish is not disput-
23 able.

24 Q It's not planned that way?

25 A No.

1 Q Could it be resolved?

2 A It's desirable from a harvest standpoint, because it
3 deserves, December is a better fishing month with hook
4 and line than January, usually, Also - -

5 Q But didn't it tend to concentrate fishing, evidently,
6 on an annual run, disproportionate with that later month
7 of the runs?

8 A No, not at all, it's just a contrary - - it's all tied
9 in with this fishing interest, if they are going out when
10 the fish are easiest caught, there are lots of
11 fisherman that would want more March fish, but normally
12 very few fish are caught in March, primarily because a
13 lot less fish are available and a lot less fishing
14 interest then, because of that - -

15 Q What fishing does take place in March is almost exclusive-
16 ly or disproportionately upon the wild runs?

17 A Well, to a large extent, to a greater extent than the
18 hatchery run, yes, but your escapement there again,
19 your escapement in March is probably higher than - -
20 but again, it's probably a surplus, but we don't know how
21 many wild fish are included - -

22 A In your report at page thirty, you characterized the
23 present means of measuring the effects of the planting
24 policies
25

1 and survival rate as being haphazard, is the word you
2 use? On page thirty? Would you indicate how those means
3 of measuring those effects could be improved?

4 A Are you quoting the report accurately? Quote, record
5 keeping from the central office for earlier years has
6 been far from satisfactory, unquote. Is that the state-
7 ment you are asking about?

8 Q At the top of the page.

9 A Oh, at the top of the page, I see what it is. I would
10 answer that question by saying that the records are not
11 consistent, are not complete, and they are not always
12 required for the use of the organization, rather, they
13 have been maintained by individuals and not available
14 for collective consideration.

15 Q Are hatchery fish easier to catch than natural fish?

16 A You have not identified the species, in the case of the
17 cutthroat, sea run cutthroat, there is data available and
18 that indicates that they are far more available to hook
19 and line fishing.

20 Q Has it been shown with Steelhead, too?

21 A No.

22 Q Do you have any opinion on its application to Steelhead
23 or other salmonids?

24 A I tried to find information on that, and was unable to do
25 so.

1 Q Now, you indicated at various places in your report that
2 the inter specific competition and intra specific
3 competition between the planted and wild fish result in
4 survival of the stronger fish at that particular time,
5 does this lead to the overall survival of the stronger
6 strains of fish?

7 A Well, the answer to that is that in all wild animals,
8 regardless of whether it's cold blooded or warm blooded,
9 this is the natural selection, the stronger survive
10 as contrasted the weaker ones. There is no argument
11 about that question, that operates all the time.

12 Q So, there might be some positive genetic type changes?

13 A Well, there is, yes, but that is a natural selection, it
14 goes on all the time within the limits of the capacity
15 of the environment to maintain a population. You don't
16 increase the population, you get stronger individuals.
17 Conceivably, if man moves in with a weaker fish, which we
18 did with hatcheries for fifty years, you produce nothing.

19 Q Are hatchery fish both Steelhead and other salmonids
20 generally a weaker strain of fish than the wild fish?

21 A Oh no, we get - - they used to be when they were planted
22 as fry, they were so weak that you had one hundred per
23 cent mortality in certain cases.

24 Q But these - -

25 A And that weakness has been measured in size alone.

1 Q Are hatchery fish usually smaller fish?

2 A Not in the adult stage, they might be slightly smaller,
3 but it's not of any significant difference.

4 Q They are physiologically identifiable?

5 A They are weaker at least until in the final adult stage,
6 they are certainly weaker through the early life history.
7 The whole purpose of improving diet and quality, quote
8 quality, unquote, is to improve the strain, the strength
9 of the hatchery fish in relation to - - not necessarily
10 in relation to the wild, but in relation to his ability
11 to survive.

12 Q In your opinion is it important to maintain as much as
13 possible a natural run or is it just as desirable to
14 supplant the natural run with artificial stock?

15 A Theoretically, it has not been proven yet, but theoret-
16 ically, the purpose of the hatchery fish is not to be in
17 competition with the wild fish, which they are due to our
18 bad habits now, but to be supplemental to the wild.

19 In other words, eliminate if you can all the fresh
20 water living, as far as the hatchery fish is concerned,
21 giving the wild fish a chance to function just as if
22 the hatchery was not operative, because with the exception
23 of the down stream migration period, if you are operating
24 properly, you have removed the hatchery fish from any
25 demand on the living environment of the wild fish. So,

1 the two are additive, because when you make the competi-
2 tive, you are wasting your money and maybe doing more harm
3 than good eventually.

4 Q Do I read your report correctly in a number of places,
5 indicating that hatchery fish don't reproduce themselves
6 very well in natural habitat?

7 A We don't know, that is a great void, and a very difficult
8 thing to prove. One thing you do know, is that wild
9 fish, by natural selection, migrate and spawn at a time
10 suitable for maximum survival rate. That is a genetic
11 adjustment. If you change the time of spawning and the
12 time of migration of any particular species by hatchery
13 operation, you have changed the relationship of the return-
14 ing adult to his productive and living environment.

15 So, you can assume, number one, that at least no good
16 is going to be accomplished by it, and more probable,
17 the reproductive capabilities in terms of returning adult
18 is going to be impaired if it is subjected to natural
19 reproduction. It's a very difficult thing to prove,
20 because when you take a mature adult out of the stream,
21 you don't know whether he is wild or hatchery returning.
22 You've got to prove that before you start finding out
23 whether there is any wild fish left. Maybe they are all
24 naturally produced, that hatchery fish and the original
25 stock is gone, but it's a complicated thing, and I didn't

1 spend too much time on trying to figure out or see whether
2 it was practical to find that out or not.

3 Q So you don't really know whether the plants have enhanced
4 a natural run in the rivers?

5 A Not as far as natural runs, you know they have enhanced
6 the catch.

7 Q But if they ceased, the question is, would there be a
8 permanent enhancement of the recurring runs of that fish
9 in that river?

10 A I think with some species, and I know this of my own
11 knowledge, after you have generated a returning hatchery
12 run, if you allow them to spawn naturally, I don't know
13 if this is the case of the Steelhead, but I have allowed
14 transplanted returning runs of fall chinook to be put
15 above the racks over 6,000 of them, as a matter of fact,
16 and there was not a hundred fish came back. They were
17 incapable of reproduction.

18 What the reason is for that lack of reproduction,
19 maybe the gravel was too small in the recipient stream,
20 but there is very little known about the ability of
21 hatchery fish to accept, except you do something like that
22 where you involve the whole run, you can find out very
23 readily if you had been hatching fish for a long time, you
24 close the hatchery and you get no fish back, you have
25 destroyed the wild run, and the capabilities of the wild

1 fish that have responded naturally to reproduce, other-
2 wise, you would get fish back.

3 Q Based upon your observations and research, is it fair to
4 say that the salmonid resource that tends to perpetuate
5 itself, tends to be the natural ancestry rather than
6 hatchery ancestry?

7 A I think we have reached the stage where it could easily
8 be the other way, and further, we have reached the stage
9 where we either produce them artificially, such as the
10 lower Columbia River or we won't have any, because the
11 conditions for natural reproduction have been so impaired
12 that if we are going to maintain production, the stream
13 itself is no longer capable of producing sufficient fish
14 to maintain a resource of interest.

15 I say we are reaching that stage, and have reached it
16 in specific instances.

17 Q Is there any evidence that the wild stocks will tend to
18 replinish or rebuild if the inter specific and intra
19 specific competition is eliminated?

20 A Yes, there is.

21 Q Do you think - - are you finished?

22 A Well, I have answered the question in the affirmative,
23 I haven't as to data.

24 Q If planting ceased, would the wild runs tend to level
25 off at some level - - at the level they once were as wild

1 runs before?

2 A No, because to my knowledge, there is no stream that in
3 itself is in its original condition for productivity.
4 All of them have been impaired in some manner by man.
5 There is no such thing as man improving environment, in
6 his development of the water sheds, his mere existence
7 is detrimental.

8 Q But other things being equal, there is a rebuilding capab-
9 ility in the wild runs?

10 A I just answered that same question.

11 Q Right, but you say that because of some man-made factors
12 they would have a different leveling off at the maximum
13 stream rearing capacity?

14 A I'd go further, and say they can't.

15 Q One of the purposes of the artificial propagation program
16 of the state should be to rebuild a natural run in the
17 streams to the level of the stream rearing capacity, is
18 that correct?

19 A No. Our end point is to produce, it should be to produce
20 artificially an augmented population of fish over that
21 which the stream is capable of producing naturally.

22 Q Over that?

23 A Over that, instead of that, we tend to produce a large
24 number of artificially produced fish which is acclaimed
25 with great vigor by everybody, but at the same time we

1 have, by our own production disguised the possibility,
2 the elimination of the wild population.

3 Q Couldn't you reduce the number of fish that were necessary
4 to plant by developing an artificially propagated fish as
5 a natural run? In other words, establish them as a
6 permanent run in a river so that they regenerate, couldn't
7 that be done?

8 A I have answered that question already.

9 Q Well, isn't it possible?

10 A The accepted purpose of our official propagation is to
11 increase the resource without impairing that produced
12 naturally, which costs you nothing. But, the natural
13 resource, the capabilities of the natural resource
14 through natural propagation is diminishing continually;
15 that variable rate between streams depending upon how
16 much impact man has had on that stream, hydraulic projects,
17 exporting logs to Japan, or what have you, the mere
18 logging of a water shed has a major impact on stream
19 rearing salmonids, and it will never recover one hundred
20 per cent, not in the foreseeable future.

21 Q Don't you believe it is possible to rebuild that natural
22 run?

23 A It will rebuild itself, almost spontaneously, to the
24 rearing capacity of the stream. Any animal population,
25 the natural propagation will take place to the rearing

1 capacity very readily, if given opportunity. No reason
2 to believe with some exceptions, that if it were left
3 alone, that the wild population has ever declined of its
4 own accord. Where it was left alone unmolested, the
5 size of it I should say, was related to the capacity of
6 that stream to produce. If you affected the stream, then
7 it declined.

8 Q Through artificial propagation means, can you establish
9 a permanent run of fish in a river or other body of
10 water, referring to salmonid fish?

11 A Well, usually, yes. I think - - that is, I personally
12 have done it in a very large sense, because I was, with an-
13 other individual in fish and wild life service, Al
14 Kemmerick, and myself, created Lake Washington run of
15 sockeye which is naturally maintained now. Once the
16 pollution was cleared up in the lake, it appears that is
17 related to the ability of the transplanted population to
18 reproduce successfully.

19 Q Was that historically a body of water that had sustained - -

20 A I think it had a sockeye run originally. It had a native
21 land locked sockeye population up to the time it was
22 planted. But, the native population was destroyed or
23 reduced, it was probably destroyed through changes in the
24 overall water shed by man.

25 Q Including pollution and the changing of the characteristics

1 of the land?

2 A I think it disappeared long before there was any
3 pollution of consequence in the lake. Pollution merely
4 prevented its restoration by artificial aids until the
5 pollution was eliminated and then it was able to repro-
6 duce. I can give you other examples.

7 Q Would the natural runs which you say could rebuild to the
8 stream rearing capacity - -

9 A I am saying they don't have to rebuild, under normal
10 conditions, they are already - - if we are not destroying
11 their capabilities, they are already absorbing the
12 reproductive capacity of the stream, but if we move in
13 and destroy their capabilities by inter specific competi-
14 tion and population declines, if we withdraw activities,
15 then the answer is, it will rebuild again of its own
16 accord.

17 It doesn't need rebuilding, it can do it itself. But,
18 from the management standpoint, once the natural stream
19 rearing capacity is rebuilt with natural stock, there
20 wouldn't be enough fish produced to meet the user demand.

21 Q Because of the decimation of the environment, or impairing
22 of the environment?

23 A Yes.

24 Q But absent those man-made causes, there would be enough
25 for fisherman?

1 A I don't think anybody has ever been satisfied, be it
2 dollars or fish, Indian or whites, Germans or Russians.
3 No such thing as satisfying people, you merely produce
4 as much as you can and justify the position that you have
5 taken with whoever you are representing.

6 Q This reduction of the natural runs is primarily due, then,
7 to perpetuation of man's activities?

8 A Yes, the environment in which they exist now, we have
9 added the fish cultural problem, which I think can be
10 eliminated.

11 Q The Department of Game has often said about sixty per
12 cent, or more, of the current harvest of Steelhead is
13 hatchery stock, is that accurate, within your knowledge?

14 A My observation, and analysis of this data, says it is
15 probably closer to eighty per cent in the major streams,
16 and could be even ninety. There is quite a discussion
17 of that in this report.

18 Q Yes, I think you indicate in the report, too, that the
19 picture may be reflective of the fact that hatchery
20 practices have lead to a reduction of wild runs?

21 A That doesn't follow necessarily, because you have increased
22 the production.

23 Q Yes, but it has been at the expense of the wild run,
24 nevertheless?

25 A There is an indication that it has been, but the degree

1 of that, we are not measuring the wild population.

2 Q Is there any indication of what the wild population of
3 any of these streams is, or is there any indication of
4 what the stream rearing capacity of the stream is?

5 A That's correct, it's considerably less than the present
6 production in all probability in all streams.

7 Q So production is artificially increased above the
8 stream rearing capacity to satisfy - -

9 A It's only a question of eliminating intra specific
10 competition, and competition between the species
11 produced from the hatcheries.

12 Q Can we double the amount we have now with the same amount
13 of effort?

14 A No.

15 Q Isn't it misleading for the Department to take credit
16 for the large per cent of fish - - shouldn't they be
17 credited for that number of fish that are harvested over
18 and above the natural stream rearing capacity?

19 A With the natural stream rearing capacity at the current
20 time, in most Steelhead streams, very low, if not almost
21 gone, and if they are ninety per cent of the catch or
22 eighty per cent of the catch, or seventy-five per cent
23 of the catch, still hatchery fish, and production is
24 doubled what it used to be you are not going to get into
25 details, specific details, of anything except that you

1 have increased production and it is the hatchery fish
2 and you are getting your money back on the basis of that.

3 Q You say the Department says - -

4 A I certainly would not criticize any statement that the
5 Department has made. To my knowledge, I have not heard
6 them all.

7 Q If the Department says that sixty per cent of the harvest
8 is hatchery fish, that does not mean that the Department
9 is responsible for placing sixty per cent of the fish
10 in that stream?

11 A Until they prove that I am right, they have no knowledge
12 of what the wild fish run is. Neither do I by actual,
13 direct evidence. I have indirect evidence that the wild
14 run has declined, I have brought that to their attentions,
15 so they are perfectly ethical and perfectly accurate
16 within their knowledge to date of making that statement.
17 I think their sixty per cent is low, on the basis of what
18 they are using to make the statement on, it's probably
19 closer to seventy per cent, or seventy-five per cent,
20 from my analysis.

21 If, in fact, sixty, seventy-five per cent of the
22 fish that are actually caught by sportsmen are hatchery
23 fish, if they have destroyed the wild population which I
24 can't prove they have and they have no knowledge of,
25 then they can't claim the sixty per cent.

1 Q Wouldn't there also be an error due to the fact that most
2 of the fishing effort takes place earlier in the season,
3 and that is when most of the hatchery fish are there?

4 A That creates even more evidence in their favor, because,
5 the wild fish are later and in an area of low intensity
6 and the escapement catch-escapement ratio probably favors
7 escapement more in the wild fish, whatever the number
8 exists, maybe until we get some evidence - -

9 Q But the sixty per cent, or seventy-five per cent figure
10 tends to be higher than the number of total fish in the
11 stream, for which the Department of Game can claim
12 planting credit, due to that fact?

13 A Well, if you want to be biased, which is really what you
14 are doing in making that statement, if you have no know-
15 ledge that the wild fish run has been impaired generally
16 speaking, until I wrote this report. that point was not
17 made, you can't make that statement.

18 Q I was getting at the effects of the - -

19 MR. McGIMPSEY: Instead of asking the leading question,
20 why don't you ask his opinion and take it from there?
21 I will object to the form of the question.

22 MR. GETCHES: Your objection is not well taken, unless
23 you choose to represent Mr. Royal as his attorney.

24 MR. McGIMPSEY: I will object to the form of the
25 question.

1 (Reporter read the question beginning on Line
2 9, page 77.)

3 A Again, I will say, if you have no knowledge, which they
4 did not have, until I wrote this report, or any inference -

5 Q (By Mr. Getches) I am not asking about that.

6 A All right, you are perfectly justified in making the
7 claim, the answer is yes, they can make the claim.

8 Q I am not asking about the question of whether or not the
9 planted fish compete or destroy wild runs, the question
10 I was asking has to do with the fact that there is
11 higher effort and higher harvest earlier in the season
12 due to the fact that there are hatchery plants that
13 return earlier than the wild runs and that tends to
14 reflect, does it not, a greater harvest of hatchery
15 fish, than wild fish, because that is when the effort is
16 concentrated?

17 A That wouldn't amount to very much, because if the wild
18 population was large enough, it would be harvested at
19 the same rate. You get to a reducing harvest interest
20 and when you say Game Department says sixty per cent of
21 all fish taken are hatchery fish, that is a fact. I
22 think it's seventy per cent, the only reason that it is
23 debatable is because of the statistics involved.

24 Q I don't think you understand the question I was asking.
25 That is, does the number of fish that are harvested, the

1 percentage of fish harvested, accurately reflect the
2 percentage of hatchery fish that are in the streams?

3 A Fairly close, because the number of fish in March and
4 April is so low that it wouldn't effect the total very
5 much. All you have to do is go to the months of high
6 catch and you do not have any wild fish in December and
7 very few in January, but you do have a preponderance - -
8 the percentages are all here, all you have to do is take
9 the percentages and these tables, times the catch as far
10 as the harvest is concerned, and you can - - you will
11 find the error doesn't amount to very much.

12 Q All right, we will rely on those figures then.

13 A I don't think it's a point of great moment, the point of
14 great moment is whether or not we can maintain natural
15 reproduction at its maximum, and add more fish to the
16 total catch and the total run by eliminating the
17 competition between the species. I think we have covered
18 that quite clearly.

19 Q On page ten of your May 3, 1971, memorandum, entitled
20 Relation of Indian Fisheries to Fisheries Management, you
21 say, quote, despite the effectiveness of modern fishing
22 gear, unrestricted fishing on the reservation has not yet
23 disturbed conservation of the non smolt Steelhead
24 population, unquote. Can we assume, therefore, that it
25 is possible for Indians to net fish for Steelhead

1 consistent with conservation under these circumstances?
2 A Well, I'd go further and say that it is due to geographi-
3 cal limitations of the reservation size. If you will
4 remember correctly, I inserted wise use in my definition
5 of conservation. While the question of Indian fishing
6 on the reservation is not in dispute, the principles still
7 apply, or exist, that the United States Government, in
8 so doing, gave a portion of the resource to the Indians
9 at the expense of the non-Indians which is the same as
10 saying that by taking of fish on the reservations near
11 the mouth of the streams with modern fishing gear you are
12 removing from competitive use that segment of the popula-
13 tion represented by the catch.

14 If the reservation , like the Nisqually, is above a
15 certain area, why, then you have removed a segment of the
16 population from general use or competitive use. But, it's
17 not for us to consider one way or the other. If the
18 treaty on the reservation is wrong, in respect to the wise
19 use of the resource by all concerned, and considered so,
20 then it's up to the United States Government to, through
21 negotiations within the provisions of the treaty to pur-
22 chase back the resource, but to date no one has raised the
23 question and the non white has learned to accept in most
24 cases, not always, the Yakima River is one exception, has
25 learned to live with the provision of the treaty. Wise

1 or unwise.

2 Q But, on reservations as such, has it not, as you say,
3 seriously disturbed the conservation of the Steelhead?

4 A No.

5 Q Would it be possible, - -

6 A Except on the Yakima River, and possibly others.

7 Q Is it possible, in your opinion, to provide for a limited
8 and well regulated net fishery for Steelhead outside the
9 reservations, consistent with conservation?

10 A I don't think that question is answerable in that the net
11 fishery is involved, and the second principle that you
12 are talking about, and no one has defined the limit.

13 And, the answer is, I can't answer your question until I
14 know the legal definition of what you are talking about.

15 Q Well, I am making it a hypothetical, indicating - -

16 A I can't answer a hypothetical question, I have to have
17 legal definition of what the question is as to the extent,
18 as to lots of things.

19 Q Could a management system be devised whereby there was
20 gill net fishery for Steelhead that prevented it from
21 being inconsistent with conservation?

22 MR. MCGIMPSEY: This is off the reservation?

23 MR. GETCHES: This is anyplace.

24 A I think the question has to be decided legally before I
25 answer that question.

1 Q (By Mr. Getches) Leaving aside the legalities?

2 A Well, you set up some hypothetical situations here
3 that don't exist yet.

4 Q We may or may not know, whether it exists as a legal
5 matter, but if you were told as a biologist, that the
6 Court had decided that Indians are entitled to net
7 fisheries for Steelhead outside the reservations, and
8 you were asked to design a regulatory scheme that would
9 protect the conservation of that resource, could it be
10 done?

11 A It would depend entirely on the area of the fisheries
12 involved.

13 Q Let's say the Puyallup River?

14 A Well, you have set up a hypothetical set of conditions,
15 so I will have to set one up too, regulation of an Indian
16 fishery is very difficult, if not impossible, on the
17 basis of historic fact.

18 Q What facts?

19 A They do not tend to obey regulations.

20 Q What do you base that opinion on?

21 A On the historic history of Indians when involving white
22 man law.

23 Q Do you know of instances where Indians have failed to
24 obey white man's law that would indicate there is a
25 racial tendency not to?

1 A I think it is evident that they do not accept law with
2 the same seriousness as we do. Genetically, they have
3 never had to, but - -

4 Q When you say genetically they have never had to, what,
5 historic evidence do you have?

6 A Their society did not operate that way. Let's not get
7 into that, you are setting up a hypothetical thing, and
8 frankly, from a practical standpoint, I think the answer
9 is no, I have said that the reason that we can live with
10 the reservation fishery is because of the restricted area.
11 Now, you remove that restriction and my answer is no.

12 Q All right.

13 A Further, it is in conflict with my definition of wise
14 use.

15 Q Let me vary the hypothetical slightly to say this, the
16 Washington State Legislature decided that there could be
17 a limited commerical fishery for Steelhead, and it was
18 your task to make sure the Steelhead resource is not
19 wiped out, and thereafter you had to recommend to the
20 regulatory authorities what limitation should be placed
21 on - -

22 A The answer is, I don't know.

23 Q Well, wait until I finish the question. You were asked
24 to make recommendations concerning times, places, types
25 of net that could be used, do you think there is a regula-

1 tory scheme that could be devised to provide for such a
2 fishery?

3 A I doubt it, on the basis of my own experience.

4 Q Do you think the regulatory scheme that provides for one
5 net for one day would make impossible such a fishery
6 consistent with conservation?

7 A I don't know, I would have to - - it's possible that one
8 net for one day could destroy a run of fish, of Steelhead,
9 I would have to see it in practice to see if it were
10 limited to that.

11 Q But I am asking you if you could make recommendations to
12 a regulatory body about it?

13 A I think it has to be decided whether or not you have a
14 right to do that first, before you even worry about the
15 effects of it.

16 Q No question about the State of Washington has a right to
17 establish net fisheries for Steelhead?

18 A That is questionable; you have not proven they have a
19 right to do that.

20 Q Very well, there used to be such a thing, there still is
21 such a thing in other states.

22 A You have not proven it is constitutional.

23 Q For the purpose of the question, we can assume hypotheti-
24 cally, that the State has a right, if it chose to
25 establish such, I don't think we can get into an argument

1 as to whether it's constitutional or not. As far as the
2 question itself, it's a hypothetical question, it does
3 not necessarily reflect the facts as they are.

4 I am asking you as an expert to give me an opinion
5 as to whether there are possible regulations that could
6 be designed for net fisheries, for Steelhead?

7 A By Indians, or specifically not by Indians?

8 Q Not by Indians.

9 A All right, leave off the word Indians, I would have to
10 say, on the basis of the judgment of all the management
11 agencies, that I can accept, my opinion is, that hook
12 and line is the only safe way to harvest Steelhead. I
13 am in complete agreement that hook and line fishing is
14 the only safe way to harvest Steelhead, and that efficient
15 gear such as gill nets, set nets, purse seines, or traps,
16 endanger management or else put the cost of management
17 beyond the value of the resource.

18 Q Do you know of any other type salmonid fish that represents
19 equally low percentage of total number of salmonid fish
20 as do the Steelhead?

21 A Only the cutthroat.

22 Q There are no other salmonid, or fish, that represent such
23 a small percentage?

24 A No, Salmon are by far the dominant over anadromous trout.

25 Q But there are no varieties of Salmon that are as small?

1 A No, nowhere near it.

2 Q What is the smallest species of the Salmon other than the
3 Steelhead?

4 MR. McGIMPSIE: You mean in number or in size?

5 Q (By Mr. Getches) In this area, percentage, total numbers.

6 A Total numbers?

7 Q Right.

8 A I haven't the statistics available to me, I would have
9 to quote an opinion based on my background that probably
10 the average, it's been changed, it may be coho, because
11 coho produce every year, and pink Salmon, pink Salmon
12 used to be the most numerical one, they only occur every
13 other year. The coho appear every year. I think the
14 pink Salmon, no question they are still the most abundant
15 when they do occur, but if you have to average them out
16 on an average annual basis, it makes it questionable
17 whether it's pink or coho.

18 Does that answer your question?

19 Q I think there were some statistics someplace in your
20 report relating to the Columbia River, and I think that
21 it gave a statistic of seventy-five per cent Chinook?

22 A That is on the Columbia River, that is why I asked you
23 which area.

24 Q Yes. I think it was ten per cent Steelhead, fifteen per
25 cent remaining?

1 A Ten per cent Steelhead, yes, approximately. Puget Sound
2 is much lower on Steelhead, those are approximate figures,
3 because I pointed out, it's difficult to pinpoint the
4 exact percentage.

5 Q Well, I wondered among the fifteen per cent of the re-
6 maining types Salmon, sockeye, coho, chums, do you know
7 what the smallest percentage figure for any one of these
8 remaining Salmon would be? You said coho was the small-
9 est?

10 A In that instance, I would have to say possibly - - I don't
11 know at the time, but it may have been that coho or chum
12 Salmon may have been less than the Steelhead, but above
13 the Bonneville Dam, the answer is Steelhead would be
14 more than coho.

15 Q Do you know what percentage the coho would be of the over-
16 all picture?

17 A No, I didn't try to break that down. I didn't feel it
18 was important except I was merely trying to establish
19 the minority position of the Steelhead in the overall
20 complex.

21 Q Is it your testimony that a net fishery for Steelhead by
22 any one is necessarily inconsistent with conservation?

23 A With practical conservation, yes. In other words, harvest-
24 ing of the resource is in a manner which will not jeopar-
25 dize its proper management. I am merely saying I agree

1 with the Legislative branch on this, on their handling
2 of the Steelhead problem, whether it involves the true
3 Legislative branch or whether it involves the executive
4 branch in the legal functioning.

5 Q If the Legislative branch changed their judgment on this,
6 do you think there is a practical physical way to manage
7 a net fishery for Steelhead?

8 A I think it would be a poor way. I don't say it could not
9 be done, but I think it would be a very dangerous way
10 of doing it.

11 Q Leaving aside the value judgment part of it, would it
12 be biological possible to tell people when to put the nets
13 in and where to put the nets in, and when to pull them
14 out?

15 A With Steelhead it would be very difficult. You cannot
16 predict the run. You would still have to be guaranteed
17 the same surplus escapement, and when you go to a net
18 fishery, on a minor population, you are restricting the
19 use of the resource to a very small number of people.
20 Now, you are allowing the entire population to utilize
21 the resource, but you can't do it with net fishing.

22 You are granting special privilege when you do it.
23 Now, the whole history of populations of animals, as I
24 pointed out in this report, when they reach the stage
25 of special privilege, it endangers the population, whether

1 it be ducks, buffalo, and so forth, then you restrict
2 its use for the best national consumption of the whole
3 population. That is a matter of historic record, and
4 that, I think the precedent is important, whether it be
5 social or legal.

6 So, the whole question is whether you want to break
7 that precedent and continue special privilege as opposed
8 to public use, when there is not sufficient resource
9 for public use. We are breaking precedent, and we have
10 never granted special privilege when a resource went
11 beyond, at least in the food resources.

12 Q You make a statement on page thirteen of your memorandum
13 of May, 1971, quote, It appears that the modern interest
14 of most Indians in off reservation fishing is solely
15 economic since his cultural and religious ties can be
16 maintained on the reservation. Unquote.

17 Now, what is the basis for making that statement?
18 What do you base that statement on?

19 A Personal experience on the Frazier River and twenty years
20 in the State. Practically all fish taken off the
21 reservation and on the reservation, as a matter of fact,
22 are sold.

23 Q So why do you indicate a difference between the two
24 locations?

25 A Merely because we have to, we have agreed that they can

1 do that on the reservation. They have not agreed that
2 they can do it off the reservation, and it's a point to
3 consider in determining whether that agreement is made
4 off the reservations or not made off the reservations.

5 Q Are you aware of Indian tribes in this State that have
6 no reservation?

7 A Yes.

8 Q Where would their cultural and religious ties to fishing
9 be exercised then?

10 A That is up to the United States Government. In most
11 cases they took it away from them, or allowed them to
12 lose it, it's not for me to answer.

13 Q You say on the same page, quote, the desire for the
14 individual Indian for monetary affluence is not different
15 than any other race, such a desire is insatiable - -
16 unquote, and so forth, end of quote. On what do you
17 base that opinion?

18 A I think it's a matter of record that when Judge Maloney
19 allowed the Indian fishing with set nets and gill nets
20 above Bonneville Dam, that certain Indians, through their
21 own government, I guess you would call it politics, in
22 the legal sense, received by and large a major share of the
23 benefits from that operation, and I think the same is
24 true on the Puyallup. In other words, there is no
25 demonstrated difference in modern day Indians to obtain-

1 ing personal benefits, economic benefits, even at the
2 expense of his own tribe. How they do that is of no
3 interest to me, I am only interested in the fact that
4 they do it, and I think the statement is generally
5 fundamentally sound.

6 Q But you do indicate there is a, while there is this
7 similarity in this insatiable desire for economic gain,
8 there is a difference in the way that Indians relate to
9 regulation and legal restrictions?

10 A That's right.

11 Q Now, are you aware of Indian tribes which have enacted
12 or enforced regulations concerning their members on the
13 reservation fishing?

14 A Quite a number, I am also aware that these so called
15 conservation regulations are disguised, frequently dis-
16 guised and frequently not enforced, on the Nooksak, where
17 a lot of fixed - - the existence of nets during closed
18 season is in evidence, they are allowed to fish for their
19 own use during closed season, and for commercial use
20 during the open season. They also in some instances,
21 the agreements have been made on the Yakima for the
22 Indians not to fish in the fish ladders, and fish a
23 certain distance away, and for years, the agreements were
24 made and violated the next day.

25 I am not familiar with the situation today, but I

1 think that there is a little more acceptance of the
2 agreement, but it's so close to existing fish ways that
3 the run is almost exterminated. So, there is no conser-
4 vation for all practical purposes on the Yakima.

5 Q So you are aware of regulations, but you indicate you
6 don't think they have been adequately enforced?

7 A Or adequately lived up to. I think the Department of
8 Fishers could provide more evidence on that than I can.

9 Q Do you think that the Indian tribes are capable of
10 regulating their own members' fishing on or off reserva-
11 tions?

12 A Yes, where they have sole control over the fishery and
13 it is their resource, and not in competition with whites
14 or non Indians. Wherever it is in competition, they
15 would have comparable difficulty and have had in the
16 past, trying to live up to conservation agreements or
17 enforcing them.

18 Q If the Indians regulated their own off reservation fish-
19 ing, couldn't the same result in terms of conservation be
20 achieved as if they were regulated by the Department of
21 Fisheries and Game?

22 A I have already made a statement that a net fishery off
23 the reservation creates special privilege and as such,
24 is extremely difficult to regulate, even though the
25 regulations are complied with, and that is not in accord

1 with precedent.

2 Q Would you apply this opinion to net fisheries of all
3 varieties of salmonid fish?

4 A No, there are net fisheries in the mouths of rivers and
5 far beyond the mouths of rivers, and species, the migra-
6 tion characteristics and spawning characteristics of
7 species, numerical abundance, the number of fish to be
8 physically harvested, set up a whole new set of condi-
9 tions that do not apply to Steelhead.

10 Q Do you think it would be possible to have Indian tribes
11 managing the off reservation fishing of their members,
12 all varieties of salmonids except the Steelhead?

13 A Where you have a great deal of fish, you brought out the
14 theory of benevolence here, I don't think Indians can
15 manage it, no.

16 Q Why is that?

17 A Because these fish are transient and subject to harvest,
18 even by other nations, if they demanded to do so, even
19 on the high seas, you can't isolate a particular fish
20 and turn it over to an isolated group for management when
21 they have no access to the daily knowledge that is
22 necessary to relate all the commercial harvest mortalities.

23 Q Couldn't they do this effectively through exchange of
24 information?

25 A It's too slow.

1 Q How is it done, say by two states, or two nations?

2 A Usually that does not involve the areas of extreme
3 vulnerability, but I probably handled the worse one,
4 that is the Frazier River where we even went to hours
5 and week fishing, but the exchange of information was
6 so, it had to be so rapid, done by radio and as one man
7 I have many times gone into meetings and have not the
8 answers ten minutes before the meeting and the regulation
9 was in effect within twelve hours.

10 Q Aren't the fish we are talking about the Salmon?

11 A I am talking about the Salmon, I am not talking about
12 Steelhead.

13 Q Aren't all the fish that are in the rivers and streams of
14 Puget Sound Drainage under the regulatory authority of
15 more than one sovereign at one time or another?

16 A Define sovereign.

17 Q State, nation?

18 A State, nation; well, in either, a period of high utiliza-
19 tion and high demand, I think it is under the State of
20 Washington's jurisdiction, exclusively.

21 Q What about the high seas?

22 A The high seas, I think that if the high seas fishery had
23 been allowed to expand, there wouldn't be a Salmon fishery
24 in the State of Washington.

25 Q What I am trying to establish is, that these fish are at

1 one time or another under the regulatory authority of
2 various bodies and governing authorities?

3 A The high seas was never utilized except with hook and line
4 by North American fisherman to any extent except off the
5 mouth of the Straits of Juan de Fuca. It was only
6 the Japanese on the high seas, and a treaty was so arranged
7 with the Japanese which they would not fish in the area
8 of the North American Salmon. To prevent a disastrous
9 situation on the Frazier I personally, I made a major
10 effort, a success effort, to attract the attention of the
11 State and Federal governments of Canada and United States
12 to closing the high seas to everything except hook and
13 line fishing, and was successful in so doing, with the
14 support of Canada and the United States and the western
15 states.

16 Q So, even under very difficult circumstances, involving
17 several governments, it is possible to manage a fishery
18 resource that crosses their jurisdictional boundaries?

19 A With extremely large number and susceptibility to very
20 unusual management technique to which the Steelhead is not
21 susceptible, you cannot identify a wild Steelhead from
22 a hatchery steelhead yet, I think it cannot be done;
23 you can't identify the origin of the Steelhead, or the
24 racial origin (sic). With salmonids we can take the
25 first off of five hundred and tell you where he came from -

1 in the Straits of Juan de Fuca, we broke down the catch
2 by origin and from fishing located - - or calculated
3 escapement by river of origin. You could not do anything
4 of that nature with Steelhead, and we were dealing with
5 millions of fish, not thousands.

6 Q Do you think it is possible for the Salmon fishing of the
7 several Indian tribes in this State to be managed by those
8 Indians tribes in cooperation with the Department of
9 Fisheries?

10 A As far as Steelhead is concerned, the answer is no, and
11 I am highly doubtful if the others can.

12 Q Even though they - -

13 A (Continuing) Unless they are physically limited to
14 harvesting the run in such a manner that the escapement
15 is automatically protected, then the situation can be
16 handled.

17 Q But don't you think it can be?

18 A It cannot be legally done, I don't think.

19 Q Don't you think that could be done if proper regulations
20 were enacted by tribal authorities in cooperation with
21 the State authorities?

22 A The answer is no.

23 MR. MCGIMPSEY: Let's break for lunch - -

24 MR. GETCHES: Let him finish his answer.

25 A (Continuing) Don't ask me anymore questions about the

1 Indians obeying the law, because I can give you good
2 examples - - up in Canada they are allowed to take fish
3 for their own use and they sell every one.

4 Q Are you aware of the meeting that took place on October
5 2, 1972, concerning possible establishment of Indian
6 net fisheries for Steelhead on the Puyallup River of the
7 Washington State Game Commission?

8 A I think that one took place, yes, but I didn't participate
9 in it.

10 Q This is while you were employed there?

11 A Yes.

12 Q Were you consulted about the meeting or asked to make any
13 recommendations?

14 A Not to the best of my memory, I was not. There was no
15 question in their minds about the problem of administra-
16 tion, and they handled the whole thing. I did not partici-
17 pate in any manner, shape or description.

18 Q There was no question about their recommendations or
19 anything?

20 A Not what I thought about them, no.

21 Q But they didn't ask you?

22 A No, there was no interest in what I thought about it.
23 They did read this; I will admit this.

24 Q At the meeting?

25 A I don't know.

1 MR. DYSART: By quote, this, unquote, he is pointing
2 to the May 3rd, 1971, report?

3 THE WITNESS: That's right.

4 Q (By Mr. Getches) Did you know Mr. Millenbach's (phonetic)
5 recommendations to that meeting?

6 A No, I had nothing to do with the management of the Game
7 Department, it was extremely investigative, other than
8 the Indian reports, the pollution report, which I found
9 involved my answers in this report.

10 (Noon recess taken at 12:15; reconvened at 1:30
11 p.m. All participants present.)

12 DIRECT EXAMINATION BY MR. DYSART:

13 Q Mr. Royal, I am going to try to skim down on my notes to
14 avoid repetition of the questions, some of these may be
15 a little bit out of logical order, I may jump around a
16 bit, but that is because I don't want to repeat questions
17 that Mr. Getches has covered, and I don't want to take
18 anymore time trying to go through and organizing these
19 into perhaps the most logical form.

20 As I gather from both your report and what you have
21 said here today, the principal concern that you feel with
22 the fish culture program at the present time is that we
23 are putting the fish into the river to finish their rearing
24 stage in excessive quantity in terms of rearing capacity
25 of the streams, is that correct?

1 A That is correct, that is one of my concerns.

2 Q Would it be accurate to say that you believe, that you
3 think we should strive more to use the rivers as a high-
4 way to the sea of the fish, and to rear them either in
5 rearing ponds or some other artificial environment to
6 a greater stage than we now do, before liberating them?

7 A I agree with the principle which is used as far as fish
8 culture is concerned. We should use the streams solely
9 as a highway to the sea, completely substituting for the
10 rearing environment by the hatchery or - - by the hatch-
11 ery. And that all fish planted should be at the migra-
12 tory stage.

13 Q Do you have any idea as to what additional area of rearing
14 ponds, if those were to be the thing that would be used,
15 would be required to accomplish this on the scale of the
16 present amount of fish cultural activity?

17 A At the present time, I am of the opinion that there should
18 be no increase in the rearing of the salmonid or the
19 number planted, until the meaning of the effect, or the
20 effects of the great increase in the planting of the
21 salmonids of all species, the effect of that, on the
22 survival of each other, each of the species and the
23 total salmonid complex is better understood.

24 In other words, you can say that I am opposed to
25 further expansion of rearing of salmonids even though we

1 correct our bad practices, until we understand what this
2 apparent density factor that is appearing represents.

3 Q When you say you are opposed to expansion, you mean
4 expansion in terms of number of fish reared or amounts
5 of existing rearing capacities?

6 A Either one.

7 Q If we talk in terms of Salmon - -

8 A One is supplemental to the other, or related to the
9 other, it's synonymous, if you don't need facilities
10 you are not going to raise fish and if don't need fish
11 you are not going to build more facilities.

12 Q My understanding, we are rearing up to a certain stage,
13 and we are liberating and completing the rearing in the
14 streams?

15 A In certain cases, or partially so, but the real thing
16 I think you are interested in, and it is in the report,
17 is that we increased our Steelhead plant of good smolts
18 at migratory time and approximately the right size, and
19 we got back practically no increase in returning adult.
20 That is what I am talking about with the density barrier,
21 there was nothing wrong with the planting of these fish
22 that represent the forty-three per cent increase in the
23 plant, but no fish came back, as a matter of fact, at this
24 turning point, we have raised the number of fish planted
25 so rapidly that we are just now starting to get - -

1 and the fisheries increased their number of pre-smolts
2 so rapidly in recent years, we created a situation which
3 is not clear, it's confused.

4 There is a possibility that we may be in a period
5 where the Steelhead production is going to go down. There
6 is an indication of it, but it is not clear whether it
7 is a temporary situation or not.

8 I have recommended very clearly in here regarding
9 Steelhead plants and regarding planting of pre-smolt
10 salmonids of all species. It is very clear in here.

11 Q The thing I am trying to get at, whether you feel we should
12 cut back on the production of the fry in order to bring
13 it down to the level that you feel the stream can support
14 now, or should we maintain existing production by simply
15 holding them longer before liberating them so that when
16 we do liberate them, they can use the stream essentially
17 as a highway?

18 A I want to clarify this. The Game Department has not been
19 guilty to a large extent of planting pre-smolt Steelhead.
20 There has been, the main guilt, if you want to call it
21 that, or the main impact of the planting, the pre-migra-
22 tory fish has been with Salmon, but what effect that has
23 had on the good migratory Steelhead survival, I don't
24 know. But, as far as the Steelhead, which is what I am
25 testifying on, not the Salmon, with rare exception, in

1 recent years, and particularly now, I am sure that - -
2 you asked me if the Game Department was implementing - -
3 I am sure that they will never plant any pre-smolts, but
4 they cull out, sometimes if - - arbitrarily, if they
5 have ten thousand culls they know are not going to make
6 smolt size by the proper time called for in the successful
7 release, they may take and dump them in the river in
8 certain cases. Usually, they hold them and plant them
9 in the reservoir.

10 There's been a definite attempt to plant pre-smolt
11 coho fry, but that is not my - - that is part of the
12 basis for the recommendation for a closer unified policy.

13 Q Is that the adverse hatchery practices you spoke of in
14 your report?

15 A Basically, not - - recommendation number eight, I think
16 it was, planting fish in March when they shouldn't be
17 planted until mid May, regardless of species - - I am not
18 trying to pick on anybody, I am trying to lay down certain
19 principles of what bad hatchery practices represent,
20 whether they be in the Game Department or in the Fisheries
21 Department.

22 You read between the lines and read the data, you will
23 see who is most guilty, I am not trying to attack an
24 organization, I am laying a foundation for what is
25 apparently wrong and finding what is apparently right and

1 pointing out things that we have not defined and should
2 better understand as far as future implementation and
3 production is concerned.

4 Q Do you know whether there has been any study, any by
5 either of the State departments, to determine which
6 rivers should be managed primarily as Salmon rivers and
7 which ones primarily as Steelhead or all located as
8 between rivers?

9 A No purpose to that, because you deal with the original
10 salmonid complex, and you accept responsibility for main-
11 taining each to the maximum extent, but perhaps in
12 planting of pre-smolts we become over enthusiastic with
13 a particular species at the expense of others.

14 But, there is up to a point, there is a nitch for
15 Steelhead that is not filled by a coho or chinook, even
16 though they live in the same stream, perhaps since all
17 fish are competitive for food - - even suckers - - at
18 some stage of life, the whole fish biolomous (phonetic)
19 is competitive for the same food supply at some stage
20 in their life history, suckers, for example.

21 I don't believe I said so in the report, but there is
22 another possibility that the elimination of these non
23 resource fish, the same as elimination of scrap fish in
24 the lakes that has been tremendously successful by using
25 rotenone, they call it, lake poisoning, that is something

1 that should be given very serious consideration in the
2 streams as to practicability of carrying it out without
3 damaging anything. In that case, suddenly, you might
4 be able to double the Steelhead and coho production in
5 a stream by eliminating competitors, that might hold
6 greater promise, but I didn't get into detail on that,
7 I don't think I mentioned it in the report.

8 I discussed it with the management staff of the
9 Game Department from time to time, but I never actually
10 laid out a program. It is worth studying, in other words,
11 duplicating the lake poisoning program for salmonids in
12 the streams.

13 A study, the possibility of being able to do it, you
14 have an entirely different physical condition, it goes
15 over miles and miles, the Skagit River might be a hundred
16 and fifty miles long, we'll say, you go up if you want
17 to clear it up, you can go clear to the head waters.

18 Q As I understand from what you have said here, and written,
19 one of your criticisms is, the big factors in terms of
20 enhanced Steelhead program are the density barriers on
21 some of these rivers and what you refer to as adverse
22 hatchery practices, particularly with regard to chinook
23 and coho, which I take it means too many pre-smolts in the
24 stream for what the rearing capacity will accommodate?

25 A Yes.

1 Q We have management divided between two agencies, one
2 being responsible for Salmon and the other Steelhead,
3 what I am asking, do you feel a situation here where each
4 department is putting its production into the streams
5 without proper coordination as to how many of the products
6 of either department should go into that stream - -

7 A You are eliminating the Federal activities, all three of
8 them?

9 Q Yes, three management agencies.

10 A I would say this, up until now they probably have seen
11 no necessity for our harmonizing our activities within
12 certain principles. This report has raised a great number
13 of issues. These practices are just not in the State of
14 Washington, it's true, through lack of information, lack
15 of knowledge, of population dynamics by individuals, that
16 this - - anybody dealing with anadromous fish can be
17 innocently guilty of what I am saying here. The purpose
18 of this report is to wake everybody up, not to say some-
19 thing is wrong.

20 I am not trying to establish culpability. My
21 recommendations, I am sure, will receive hearty accord by
22 the hatchery division in the State Fisheries Department,
23 because I have talked about this thing for two years with
24 them. The Fish and Wild Life, at Portland office, the
25 whole core of this, merely a matter of discussing what is

1 right in a big organization. Just give it time.

2 Q Just to be clear on one point here, you have referred to
3 the stream rearing salmonid, are you talking about all
4 species of the Northwest Salmon and Steelhead?

5 A Sockeye is not stream reared, Salmon, chinook, Steelhead,
6 and sea run cutthroat.

7 Q What about coho?

8 A Coho is not stream reared, not normally. Pinks go dir-
9 ectly - - so do sockeye, when they leave the lake, they
10 go to salt water.

11 Q Several times you spoke of the number of escapements
12 remaining fairly constant under present regulatory
13 conditions and you seem to be emphasizing the qualification,
14 that is, the hook and line fisherman, what are the
15 conditions you consider are significant ones interms of
16 that qualification of your answer?

17 A It is the law of diminishing interest.

18 Q But the present regulatory condition means limiting the
19 fisheries, Steelhead fisheries, to hook and line fishery?

20 A Yes, or I will qualify that by saying while the Indian
21 net fisheries on the reservation is usually at the expense
22 and not in competition with the non Indian fishery until
23 it exceeds the allowable catch which it does not do
24 normally, due to the geographic limitations of the
25 reservation on the streams, let me put it this way - -

1 The Indian net fishery does not interfere with the
2 escapement as long as the escapement is in surplus over
3 that which the stream would normally receive. That for-
4 mula is not precise, please understand that.

5 Let's take the reservation at the mouth of the
6 Quinault River, for instance, and they caught fifty per
7 cent of the Steelhead run, theoretically, the sportsman
8 would not fish above, would not fish in the Quinault
9 River, but they do, and they catch a certain amount of
10 fish. It's merely an informal control, or control
11 tendency.

12 Q Now, without regard to the legal question of whether the
13 estuary at the mouth of the Puyallup River is or is not
14 a legal Indian reservation, and as you may know, that is
15 in legal controversy at the moment; irrespective of
16 whether it is a reservation or not, is it your feeling
17 that an Indian net fishery in that portion of the Puyallup
18 River, that the Puyallup tribe claims is Indian reserva-
19 tion, would not be detrimental to the Steelhead conserva-
20 tion on the Puyallup River?

21 A It has been.

22 Q Have there been times, has it been consistently detrimental?

23 A All I know, the testimony was to the effect that the
24 escapement of the Puyallup hatchery in the South Prairie
25 Creek is practically eliminated during the course of the

1 fishing, it can be, and as I said, it is. Any net
2 fishery removes all the cross protection of hook and line
3 fishery, it's a special privilege whether it's legal or
4 not.

5 Q Disregarding any policy considerations, I am interested
6 now in terms of what is its effect on the maintenance of
7 Steelhead runs?

8 A I was not talking about policy, I am talking about facts.
9 Gill net fisheries, due to the efficiency, would reduce
10 the number of people that could operate, without effecting
11 the escapement, so it becomes a special privilege. All
12 people can't use the resource then if they take it. It's
13 like commercial fishing in Puget Sound, the only reason
14 it exists is because they are used to harvest the surplus
15 that the public cannot harvest. When that resource gets
16 down, for instance, to where the public can harvest the
17 resource for personal use, then special privilege according
18 to precedent would go. It's not a policy, it's a matter
19 of fact.

20 Q Well, in your research, in connection with your report
21 and also your May, 1971, report, did you look at the
22 Puyallup River, and did you ascertain whether there was
23 an extensive sports fishery on the Puyallup River up-
24 stream from the immediate division of the main mouth?

25 A I didn't make a detailed study of the Puyallup River. I

1 understand whether this has relation to what you are
2 talking about, the Steelhead run in the Puyallup River
3 was a complete failure this year. Whether that has any
4 relation to what you are talking about, it's in a sense,
5 hearsay, it's departmental report, whether it's hearsay
6 or not, it is not of my own knowledge.

7 Q Is Puyallup unique in having this failure this year?

8 A It was considered so, yes. Production is down in
9 practically all streams, but the Puyallup was considered
10 a complete failure. It is a dangerous thing, I have
11 testified to that several times, hook and line fisheries
12 for all concerned is fair and equitable, and a safe way
13 to harvest a small resource whereas introduction of net
14 fishing is dangerous and has been considered so on the
15 basis of the Legislative and Executive policy in the State
16 of Washington, ever since 1932.

17 Q You spoke earlier, and part of what you just said, I
18 suppose is just also getting back about the Salmon being
19 the dominant species of the rivers and therefore greater
20 or fewer Steelhead and greater restraint needed for Steel-
21 head, basically, what is the distinction between Salmon
22 and Steelhead that makes Salmon the dominant species in
23 this? What is the biological difference there?

24 A First, I didn't - - I object to one of your statements,
25 you said I said Steelhead required greater protection than

1 coho or other stream rearing salmonids. I didn't say
2 that, I merely said that the practical, economic way
3 of managing Steelhead runs because of its small size and
4 of the difficulty in enumerating, etc., that greater
5 tolerance should be used in allowing escapement for the
6 management purposes. It was impractical to pinpoint
7 it because the economy was not involved to justify, like
8 it is in coho, or chinook or pinks, or sockeye, which are
9 not stream rearing salmonid, but go ahead - -

10 O All right, what is it about either the makeup or the
11 biology of Steelhead as compared to the Salmon or the
12 environment in which he lives that accounts for the Salmon
13 being dominant in the streams?

14 A Well, we have assumed that the fact that the Steelhead
15 spends from mainly two years, but up to three years in
16 fresh water, whereas the spring chinook and the coho spend
17 one and - - less than one, that that was a contributing
18 factor.

19 Number two, the Steelhead, the hydraulic character of
20 the streams, and the availability of food supply, due to
21 these hydraulic characteristics, which in a sense defines
22 the number of niches for a steelhead, controls the number
23 that can be produced.

24 O Now, let me stop you a moment - - when you say food supply,
25 is this a matter of timing of their rearing, or is there

1 any difference, essentially between what the Salmon eats
2 and what the Steelhead eats?

3 A There is very little difference, but there is a difference
4 in aggressiveness, the difference in habitat, you see
5 each animal defends his habitat, he usually establishes
6 a territory and defends it, and the Steelhead requires a
7 territory which is limited in number, it's considered
8 limited in number, and due to that, the Steelhead may or
9 may not get sufficient food due to the competition of the
10 other species in the other sections of the stream.

11 So, therefore, the number of Steelhead is limited.
12 I am not sure that it's that simple, but I cannot offer
13 any explanation or opinion as to anything that would
14 change the complexion of that original definition or
15 opinion by most biologists.

16 The only thing is, the more productive a stream, the
17 higher the minority position of the Steelhead; no where
18 has it been the dominant species, no place. But, in the
19 upper Columbia where the food or water is alkaline, and
20 the food supply greater than in the non alkaline streams
21 of Western Washington, the Steelhead run has been a much
22 higher proportion of the salmonid complex than in
23 Western Washington. I think that summarizes it.

24 Q Do you have any feeling that if the Steelhead were
25 artificially reared to the migration size - -

1 A Which most of them are.

2 Q So that the river, in other words, they went directly to
3 the sea - -

4 A Which most of them do.

5 Q That this would change the balance and bring the Steelhead
6 closer to being a majority?

7 A No, I have said the Game Department does not very often
8 plant pre-smolt Steelheads.

9 Q Do you think over a continued period of this, it might
10 cause Steelhead to become closer to majority or even a
11 majority of species, or a dominant species in the streams?

12 A I don't think it ever will, and that may be the reason
13 the density barrier is showing up on Steelhead first
14 because of this minority position which we do not under-
15 stand completely. That is why I said I don't think
16 hydraulic characteristics of a stream itself, the physical
17 characteristics is entirely the answer to numerical
18 position or percentage position of the Steelhead in the
19 salmonid complexion. There are other things, but I don't
20 know what they are.

21 If we planted, no matter how many Steelhead we
22 plant in a stream, I think the density barrier - - and
23 no matter how many Steelhead we plant in a stream, I
24 think the density barrier - - and no matter under how
25 favorable conditions - - I think the density barrier is

1 going to show up. What level that is can vary, but it's
2 still going to be there, and what causes it, I cannot
3 tell you.

4 Q Now, there is nothing to indicate that you can increase
5 greatly the number of Steelhead produced in the State of
6 Washington?

7 A Not at the present time, certainly.

8 Q You referred to the Lake Washington run of sockeye, which
9 you said that you and Al Kemmerick were instrumental in
10 getting established or re-established, and that there had
11 previously been a native landlock run of sockeye; isn't
12 it true that originally the outlet to Lake Washington
13 was through the southern end of the lake and out what is
14 now the Black River?

15 A That is true. There was no - -

16 Q In the early days, didn't the sockeye then come in from
17 the Sound?

18 A I said it was probably the case, but I have never heard
19 of anyone - -

20 Q From the Sound, and into Lake Washington?

21 A I have never seen any record that that actually existed.
22 I am not much interested in eight-five or ninety year old
23 people remembering this or that. I have tried to use
24 those people as evidence, and they tell you what they
25 think you want to hear, mainly, whether they be Indians

1 or not Indians.

2 Q What does the land-lock run, how recent was this land-
3 lock run about which you spoke?

4 A I think it's probably always been there, there are three
5 lakes in the State of Washington where there are native
6 self reproducing land-lock sockeye; Lake Crescent,
7 Whatcom Lake, and Lake Washington. I believe that is all.

8 Q Now, is the land-lock variety apt to develop if there
9 is, in fact, an exit from the lake to the sea?

10 A There is an exit from all these lakes, there always has
11 been. Lyre River comes out of Lake Crescent, the
12 Whatcom Creek comes out of Lake Whatcom plus there
13 is an obstruction on each of these, there was on Lake
14 Washington but is not now.

15 Q There is the obstruction on the river exit from Lake
16 Washington, but you have the Ballard Locks which for a
17 long time was not good fish passage? I am talking about
18 the original.

19 A No, there was no original obstruction, through the
20 southern end of the lake. I forget what year they diverted
21 White River into the duct for the Puyallup, and locked it
22 out of Green River and diverted the Black River out of
23 Green River through the locks, and dug the Lake Union
24 canal. There was a period there when they probably did-
25 n't even have a fishway on the Ballard Locks.

1 Q It was the lowering of Lake Washington as a result of the
2 Ballard Locks construction that caused the southern end
3 to no longer be the exit for the lake, is that correct?

4 A I don't know the elevation details on that, but Black
5 River is dry anyway, it was shut off. Whether the
6 reduced level was maintained or not, I don't know.

7 Q There has been frequent reference in this case to a
8 situation on the Frazier River, and an example cited of
9 nets taking ninety per cent of a given run on the Frazier
10 River. Are you familiar with the example where the nets
11 have taken ninety per cent of the run?

12 A I certainly am; I had to put up with it for years.

13 Q What species?

14 A Sockeye, I think it applies to all species.

15 Q Was there any instance of that kind of percentage of
16 Steelhead on the Frazier being taken by the nets?

17 A I don't think there is any question but what it happens,
18 let me define the situation a little more realistically.

19 There are from four hundred to a thousand nets,
20 normally extending from Point Roberts in the Gulf of
21 Georgia, along the bar and inland close to the mouth of
22 the Frazier, and up the Frazier for fifty miles, and on
23 big sockeye runs, such as the Adams River, you can have
24 up to four thousand nets. It would appear that four
25 hundred nets will do the same thing as four thousand.

1 Q What size nets are we talking about?

2 A Nine hundred feet, nine to twelve hundred feet.

3 Q These are drift nets or set nets?

4 A Drift nets.

5 Now then, on Monday morning you open the fishery on
6 the Frazier River, on the Gulf of Georgia, I suppose half
7 these boats or roughly half, are off the mouth and extend-
8 ing away from the mouth of the Frazier which has two or
9 three mouths, like the Skagit, then the other half extend
10 upstream fifty miles to the town of Mission. By the
11 afternoon of the day that you open, the fish start to
12 completely disappear above New Westminster which is
13 thirty miles from the deadline. By the end of a twenty-
14 four hour period, there are practically no fish caught.

15 Fishing continues off the mouth and up the river to
16 the Old Ferry: landing at Woodard, just a few miles and
17 it will continue, but the Monday catch is always twice
18 that which, in spite of the successful fishery at the
19 mouth, the catch drops at least fifty per cent between
20 Monday and Tuesday, and by the third day, fishing is from
21 a numerical standpoint, anywhere in the Frazier River,
22 is practically useless, but there is recording of the
23 escapement, which follows chronological pattern, recording
24 the daily escapement at Hells Gate, there are, for all
25 practical purposes, none, when the fishing period progresses

1 upstream to the Gate.

2 Q Now, are you talking about current conditions or a
3 historical condition, before the International Commission
4 Regulation?

5 A Current conditions, with modern gill nets extending back
6 with gill nets, it was not that bad in the old days when
7 they had sailing boats and course linen nets, there was
8 no question but there was escapement, because the fishing
9 extended six and seven days a week and they still got
10 escapement.

11 Q Now, how does the International Commission control this
12 as far as assuring adequate escapement, then?

13 A I mentioned this morning, fishing time is down to as low
14 as twelve hours, or nothing, each week. It's taken a
15 long time to indoctrinate the gill netter to fishing
16 those kind of hours, but the Canadian Government has
17 insisted upon having a major commercial fishery at the
18 entrance of Juan de Fuca, and also a major gill net fish-
19 ery, and since Canada is only entitled to fifty per cent
20 of the allowable catch, they have to keep the river
21 closed six days a week in order to get that escapement.

22 Q So, you are saying that when the nets are permitted to
23 be in, and no restriction on the number of nets, other
24 than physical restrictions of geography involved - -?

25 A I have said, you can get by with ten per cent of the

1 maximum, and do the same thing. Four hundred is the same
2 as four thousand, all you do with four thousand nets is
3 divide the catch ten times more.

4 Q You are saying when the nets are in, they are capable
5 of taking ninety per cent of the run?

6 A Probably closer to a hundred. But, I don't think we need
7 to spend time and money on that.

8 Q Are we talking about just the portion inside the river,
9 or are you talking about all the way to Point Roberts?

10 A Yes.

11 Q You have mentioned earlier about the so called million
12 dollar trap off Lummi Point, prior to initiative 77, what
13 effect did that trap have on reef net fishing in that
14 area?

15 A I don't think there was any at that time; if there was,
16 it was very minor.

17 Q (By Mr. McGimpsey) So the reef nets - -

18 A I don't think there was any reef nets.

19 Q (By Mr. Dysart) The reef net has grown up since Initiative
20 77?

21 A Yes. To my knowledge, or memory, which is not infallible,
22 which is what you observe and hear in this case, there
23 were no reef nets ever, at Lummi Island until they developed
24 it after Initiative 77.

25 Q All those reef nets, where they are now, you had fish

1 traps?

2 A There was more than one fish trap on Lummi Island.

3 Q The traps precluded any effective reef net fishing in that
4 area?

5 A Fishing in that area - - and it pretty well effectively
6 prevented purse seine fishing. Purse seine fishing and
7 reef net fishing is an adjustment from the removal of
8 the traps, although there was major purse seine fishery,
9 they spent most of the time fishing off - - the purse
10 seine leads those that caught fish.

11 Q Do you have any knowledge when traps were first establish-
12 ed on Lummi Island?

13 A No, it goes back into the late 1880's. The traps are
14 what supplied the first canneries in Puget Sound, I
15 should remember, but it was around 1872, in the Frazier
16 and it was pretty close to that in Puget Sound when
17 canneries were first established.

18 I might say, too, there was practically no gill net
19 fishery in Puget Sound until after nylon net came in,
20 in 1855, or synthetic nets.

21 Q You mean 1955?

22 A Yes, 1955.

23 Q I didn't mean to correct you, or cut you off.

24 A Thank you for correcting me.

25 Q Now, you made this study in 1971 that has already been

1 introduced in connection with the earlier affidavits on
2 the Indian fishery. In your research, in connection with
3 that study, or the current one, and in response to the
4 request to study all aspects of anadromous trout, do you
5 know any other studies that the Game Department made them-
6 selves, or caused to be made that they had access, of the
7 Indian fisheries?

8 A Oh, I know they have attempted to get catch statistics
9 and with partial success, of the number of caught fish.

10 Q Were any other written studies reported to the Game
11 Department library?

12 A I don't know of any. I didn't run across them, I do not
13 mean that there wasn't any.

14 One thing I want to clear up on the gill nets, I meant
15 in salt water, away from the estuary, at the mouth of the
16 river where the phosphorescent plankton were present,
17 there was gill net fishery in the Skagit River, the
18 Nooksack River and, of course, the Frazier River and
19 there was no large gill net fishery, or any gill net
20 fishery of any kind in the Straits of Juan de Fuca on
21 the Canadian side until synthetic nets came in, in 1955.
22 They tried them but real efficient ones grew up after
23 that time.

24 Q The strands of the synthetic net is less visible to the
25 fish?

1 A Yes, and by the smaller size it creates less phosphoresc-
2 ence in the water.
3 Q This is from contact with the plankton?
4 A Yes.
5 Q Were you given any instruction or directions in connection
6 with the Indian studies that you did?
7 A No.
8 Q Any guide lines or critera?
9 A No, I was only given the information I requested from
10 them, in the way of catch statistics.
11 Q The report, the recommendation which you have here made,
12 by here, I am talking about this twelve page document
13 which is Exhibit #2, contains no recommendation relating
14 to the Indian fishery, is that correct?
15 A No.
16 Q Did you make recommendations pertaining to Indian fishery
17 or the Department relationship to it?
18 A Only what I have here. I don't remember.
19 Q As far as - - there is an Indian report, just that, and
20 I think it recommended closer consultation and liaison
21 with the Indian tribes?
22 A Yes, that and there didn't appear to be any place for
23 net fishing for Steelhead off the reservation as far as
24 Steelhead.
25 Incidentally, that Commission meeting you referred to

1 on October 2, this morning, you referred to the Game
2 Commission meeting?

3 Q (By Mr. Getches) That's right.

4 A My answer is right then.

5 Q (By Mr. Dysart) One other question, Mr. Royal, going
6 back, or turning now for a moment to that aspect of your
7 report which you were talking about the punch cards, would
8 it be a fair statement to say that the conclusion of your
9 study was the catch statistics derived from punch card
10 data are more reliable in showing the trend and compara-
11 tive relationship from year to year or month to month
12 than they are in showing the actual amount of catch?

13 A No. I said that the total catch, while probably subject
14 to a possible bias, or as found in the State of Oregon
15 as well, that the variations in that were real, but the
16 total for each year might be biased on the positive side
17 by some figure which Oregon ended up with calculating at
18 seventeen, or sixteen per cent. In other words, if the
19 total catch statistic is one hundred thousand, or hundred
20 sixteen thousand steelhead, Oregon would get the catch
21 as a hundred thousand, but if it were a hundred thirty-two
22 thousand, the difference between the hundred and the
23 hundred sixteen, and the hundred thirty-two would be real.
24 The bias would be proportional each year.

25 Q You are suggesting that fisherman report more fish caught

1 than they actually catch?

2 A What they call bias and non response. In other words,
3 you assume that people that don't call in the cards,
4 caught the same number as those who did, and that is
5 not true. So, your figure has been found generally,
6 your figure tends to be high.

7 Q So, when you say the figure, to use your example, of
8 a hundred and sixteen thousand, you are not saying that
9 a hundred and sixteen thousand holes were punched on the
10 punch cards that came in, you are saying that some number
11 was reported on that, and that the Commission added a
12 figure?

13 A The figure for non response, yes.

14 Q What you are saying, you feel they added too much for the
15 non response?

16 A That's right, it's not the same as the cards that were
17 sent in on the catch.

18 MR. DYSART: That's all I have.

19 CROSS EXAMINATION BY MR. MCGIMPSEY:

20 Q Mr. Royal, you talk about escapement enumeration for
21 Steelhead, and indicated, I believe, that it was impracti-
22 cal for several reasons. That is, in determining the
23 total number for escapement?

24 A Yes, and it's a very erroneous thing to even get an index,
25 but better than nothing.

1 Q Up on the Frazier River when you had charge of managing
2 that river's fishery of sockeye, did you use escapement
3 enumeration as a method?

4 A Yes. As far as dealing with large numbers of fish in
5 restricted spaces, when you tag, you either have to tag
6 an exact proportion of the incoming fish so you have the
7 same percentage tagged on the first day's fishing that
8 the middle day's fishing will have, and the last day's
9 fishing. If you can't do that, then you have to recover
10 dead fish and the Steelhead don't die, at least a lot of
11 them don't die, they are not available for counting.
12 With sockeye, they all die, they don't drift very far,
13 it's clear water, you have no flood at that time of year,
14 so you pitch the dead fish out - - you select one bank
15 first, you have proved how much area and where you have
16 to do it in order to get an adequate sample. You pitch
17 that every day; and the first day you may have one dead
18 fish, at the height of the die you may have thirty
19 thousand. If you get the tagged and untagged ratio, you
20 cannot tag a long distance from the spawning ground be-
21 cause there is loss due to tagging. When you lose a tag,
22 that runs your population estimate up.

23 If you lose that tag on or near the spawning ground,
24 that dead fish drifts ashore in the same area along with
25 the rest of them and you get your tag back, but if you

1 tag forty or fifty miles from spawning ground, your
2 population is going to be way high, considerably above
3 the actual due to the tag loss, and you lose a tag too,
4 if you are tagging a long ways, they are migrating and
5 swimming in, with so much activity, over fifty miles you
6 are going to lose some tags.

7 Where they are dormant in the spawning area, or more
8 or less dormant, you lose very few.

9 Q Do you have an opinion whether escapement enumeration
10 is possible in the Salmon species?

11 A Enumeration is possible in the Salmon species in Puget
12 Sound, I think it's on pink Salmon, I do not think it is -
13 I think coho is very much like Steelhead, it would be
14 impractical to enumerate coho. I don't think you can set
15 up a system, statistically, that would stand the economic
16 test - - the test of necessity for accuracy. All chinook
17 runs, you reasonably could, because they spawn in a limit-
18 ed area. I will put it that way, you have got a lot
19 more money to spend than you can justify, lots more money
20 to spend on physical stoppage of coho and chinook for
21 enumeration purposes than you have to spend on Steelhead,
22 you could probably justify one such structure on a major
23 stream for enumeration in the State of Washington.

24 Maybe I should not be so specific as on one, but you
25 have dozens of streams and you could have one on all of

1 them, but it would be more than the resource is worth.
2 The catch is known to be about a hundred and thirty to
3 a hundred and seventy-five thousand, cohos are in the
4 millions.

5 Except for biological purposes of specific areas, I
6 see no purpose as long as you have a surplus escapement
7 in sufficient amounts to preserve the resource.

8 Q Okay. In the case of the Steelhead you said that the
9 actual escapement probably tends to run ten to twenty
10 per cent more than what is actually necessary for escape-
11 ment, perhaps even a higher percentage?

12 A I think I used a larger figure than that.

13 Q Okay, but that you felt that the surplus escapement, at
14 least from an economic standpoint, was necessary in order
15 to protect the necessary escapement?

16 A Or to manage the fishery within economic limits of the
17 value of the resource.

18 Q As far as managing Salmon - -

19 A Plus the fact that there is no other known way, to my
20 knowledge, of allowing an entire public to utilize the
21 resource by any other method than hook and line.

22 Q Now, we are talking about Steelhead?

23 A Steelhead, yes.

24 Q As far as Salmon escapement, do you think Salmon can be
25 more accurately regulated so as you cut down the surplus

1 of escapement on Salmon?

2 A You have a large commercial fishery extending out the
3 coastal area of both chinook and coho, and that sequence
4 the commercial fishery, because of the larger number of
5 fish involved, greatly expedites a better understanding
6 or a better approach for calculating escapement without
7 actually knowing the number of fish that end up in the
8 spawning grounds.

9 Q Then, as a commercial fishery progresses on a given run
10 of Salmon, that is sufficient in determining the size of
11 the run and making your restrictions?

12 A It does when you have years of data in various locations.

13 Q Would you say that type data is essential to accurate
14 management to a salmon run as far as restricting it?

15 A If you want to avoid large surpluses in the escapement.

16 Q That type fishery is necessary?

17 A Yes. I don't justify commercial fishery or special
18 privilege, except on the grounds that public utilization
19 doesn't harvest the number of fish.

20 Q There has been some discussion as to traps being the most
21 efficient means of taking fish?

22 A In some locations.

23 Q In some locations, okay.

24 (Mr. Dysart excused himself from further participation
25 in the deposition; Mr. Getches continued to partici-
pate in behalf of the plaintiffs.)

1 Q (By Mr. McGimpsey) If you so set up a fish trap that
2 would completely block a stream so that all fish that
3 would migrate to that stream would be caught in the trap,
4 would it be necessary to handle the fish to release them?
5 A I would say it's impossible to install a fish trap on
6 large flowing streams to shut off one hundred per cent
7 of the fish. The Commission tried that in the Thompson
8 River, and got a hole in the darn thing about twelve
9 inches square and about a million and a half fish went
10 through it without them knowing it until they saw them
11 up above.
12 Q This would be the International Salmon Commission?
13 A That was in 1942 - - I think, the fall of '38 or '42 - -
14 Q Are there any other attempts to establish traps by the
15 International Salmon Commission?
16 A That was enough. We hired engineers, after that, to
17 realize the hydraulic problems involved in trying to
18 measure large rivers through trap webs of any kind.
19 Q Was it the determination of the Commission that traps were
20 impractical or impossible?
21 A On the Frazier River, yes.
22 Q On the Thompson?
23 A Anyplace on the Frazier River except where escapement,
24 where you have more numerically, that is why they went
25 to tagging a hundred per cent locations, although in some

1 of the small streams which there are very few of, they
2 did use live count and they developed a live count index
3 factor of multiplication.

4 You make daily counts through the run and if you
5 find out when the peak is - -

6 Q Does that entail handling the fish?

7 A You have a number of fish seen on the peak, sometimes
8 you multiply by two and a half, or 1.8, 1.6, every time
9 you change the live count counter, you have to reconfirm
10 your index because he might not see as many fish as
11 another.

12 Q In a stream where a trap could be built across,
13 physically built across the stream, in order to release
14 the escapement, would it be necessary to physically
15 handle the fish?

16 A Not necessarily. If the fish were handled, well, there
17 are lots of things, you have a rack in the Samish River,
18 it's gone out once or twice, but I think - - and you
19 lose fish over it on high water, everytime you get a
20 major flood, but fish go over it and you don't know what
21 you lose, that's a problem.

22 Q That is a problem?

23 A It is, and it's a damned expensive operation, but you
24 need it to collect eggs.

25 On the other hand, if you want to go to the Indian

1 traps, and the aboriginal system, I obtained Hudson Bay
2 records relating to fisheries. Hudson Bay Company and
3 Northwest Company direct abstracts from the abstracts
4 written at the time dating back to 1811 for the North-
5 west Company and Hudson Bay Company came in around 1820
6 or thereabouts, '25. It's quite clear in there, that the
7 old accustomed fishing methods involved spear, dip net,
8 the fish trap which was nothing but a brush weir called
9 varvoes.

10 According to any reasonable calculations of the run
11 of fish in the Stewart River at the outlet of the Stewart
12 Lake at Fort St. James, there had to be one - - from one
13 to several million sockeye in the dominant year and the
14 Stewart River is certainly no larger than the Skagit and
15 probably smaller. The run arrived up in there after the
16 spring freshets and they put this varvo across the
17 outlet of Stewart Lake which theoretically, apparently
18 stopped the run, but in every year you have dominance
19 up there where you have one large run, one second moderate
20 run, and two very small runs. They caught no fish at
21 all on the small runs, which must have involved tens of
22 thousands of fish. They harvested, just merely harvested
23 what they needed, which did not exceed fifty thousand.

24 If I remember correctly, the Hudson Bay records, the
25 rest of the fish escaped through the weir. At no place

1 was there any record of any gill net, probably the most
2 effective gear in the aboriginal gear was the dip net
3 where it was usable in the Frazier Canyon. They used
4 that for miles up and down the river where the turbulent
5 water forced the fish closer to shore.

6 Q If handling were required of the fish, would that be
7 harmful to the fish?

8 A Fish should never be handled unless it has to be for
9 biological purposes. The trouble is, the fish at the
10 racks and dams, they jump and injure themselves. If you
11 have a fishway, and a counter, then the fishway is
12 probably designed, they did design the fishways so the
13 fish wouldn't jump, they will go up the fishways like
14 the one at Bonneville Dam.

15 Q Take a river, the tributaries on a river, and if you were
16 to establish a trap across the complete mouth of the river.

17 A Where is this going to be.

18 Q I am just giving a hypothetical, without a specific
19 illustration, of what we are talking about.

20 A I will again reiterate, you can't do it.

21 Q I appreciate that, but there has been some discussion
22 of traps, I would like to explore a little bit some of
23 the problems with traps.

24 A It's hydraulic problem, an engineer will give you a
25 far better answer than a fish man, you simply can't pass

1 a large volume of water through a stationery rack;
2 it cannot be done.

3 Q I appreciate that. What I would like to do is explore
4 a couple points with you regarding traps. One, if a trap
5 at the mouth of a river were to catch all the fish, and
6 then the person operating the trap were to release a
7 certain number of fish for escapement, if there were
8 several tributaries on the river, would there be any way
9 that a person or an agency releasing those fish for
10 escapement could determine which fish he was releasing
11 as to which tributary those fish would spawn in?

12 A That would probably be easier to approximate than how
13 many fish to release each day. You don't know what the
14 size of the run is, there's no way to figure it out.

15 Are you going to have forty thousand fish come to
16 that river, or twenty thousand, and your escapement
17 requirement, say fifteen - - you are going to release,
18 how are you going to decide the first Monday afternoon
19 how many fish to release? You don't know what the run
20 size is until it is well along its way. Then, you still
21 have the problem of - - first place, your planting policy
22 determines where the fish are going to come back, as far
23 as the hatchery is concerned, and your wild fish, you
24 don't know anything about it.

25 So, starting out, I will have to treat you like I

1 treated this gentlemen in some of his questions, I won't
2 consider a trap because it's not practical to construct
3 in lots of rivers, so why worry about the biology or
4 usefulness of it, and in the second place, if you did
5 have it, it's not practical anyway.

6 Q I appreciate all that, but I do want - -

7 A (continuing) What I have told you, is, it's better to
8 restrict fishery by gear, have a surplus escapement
9 with the built in escapement protection factor which is
10 what you got in the State of Washington and the State of
11 Oregon; everybody has found that out, and Canada applies
12 it and accepted it, so to argue against it, you are
13 arguing about the experience of the Government Legislative
14 an Executive branches of two states.

15 Q Okay; assume for a moment that I am not arguing either
16 for or against traps, but trying to establish certain
17 facts about traps, is there any way of determining for
18 wild stock fish caught in a trap, which tributary they
19 would be from?

20 A No, you can't tell. Furthermore, you have to put these
21 traps in at the period of the worst flood of the year
22 when you have got debris, trees, snags three feet in
23 diameter, coming down the river piling up against this
24 thing. It wouldn't last any length of time, it is silly
25 to talk about it.

1 Q Okay, just a couple other facts that I would like to
2 discuss; do fish delay in front of an obstruction, such
3 as traps?
4 A Yes.
5 Q Is that harmful to the salmonid fish?
6 A Probably not so much the steelhead as salmon.
7 Q More harmful to the salmon?
8 A Yes, because the Steelhead has to - - it lays its eggs
9 anyway.
10 Q It would be harmful to the Steelhead if they jumped across
11 them?
12 A The delay would be more harmful to its - - the delay for
13 a period of time, at various places in the river before
14 spawning.
15 Q And would any such trap that could catch all the fish
16 in the mouth of the river, that would necessarily have
17 to obstruct navigation, would it not?
18 Q (By Mr. Cufley) What kind of navigation?
19 Q (By Mr. McGimpsey) It would probably obstruct any
20 navigation that might be there as long as the trap was
21 in?
22 A Yes, which wouldn't be very long.
23 Q If you were to put a trap in that could stand the force
24 of the water freshets - -
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A To be a permanent type structure, you would have to build a dam, changing the heighth of the water level, and create a dam. You would have to stop the fish and pass them through a fishway and let them go over the top.

You can build a dam, but you can't build a fish trap which infers the water will pass through the trap and not create a dam. This does not apply to tributary spawning streams in the spring of the year when you do not have major flood, you can probably do what the Indians do, do what the Indians probably did, and create a brush wier, and catch them below the spawning grounds.

I don't doubt they used brush weirs extensively in regard to the water within the territorial jurisdiction of the State of Washington.

Q Some of those waters are under the control of the International Salmon Commission?

A During certain periods of the year, yes.

Q Do the regulations promulgated by the International Salmon Commission pre-empt the State?

A Only in regard to the species involved. I mean, within the terms of reference of the Commission. Essentially, they do pre-empt them, because the species involved in the Commission terms of reference are by far the most

1 dominant species, and there has never been any question
2 about the State or Canadian Government, with minor
3 exceptions, with the coho against the Commission regula-
4 tion.

5 Q Okay. When, basically, are the Commission regulations
6 in effect, what month?

7 A Oh, essentially from June 20 into September in the United
8 States waters, and from June 20 into early October on
9 the Frazier River.

10 Q Although the regulations are primarily aimed at regulat-
11 ing the Frazier River fish, they would also indirectly,
12 at least, effect the fisheries or fish runs that go into
13 Puget Sound, that would come in?

14 A Yes, that's right. It's the outer Puget Sound; Puget
15 Sound itself is not in convention water.

16 Q But the regulation in the outer Puget Sound area controlled
17 by the Commission would effect the runs going into Puget
18 Sound water shed?

19 A Yes. The question has been raised by fisherman in
20 Canada that too much coho escapement was being allowed
21 in order to get an adequate escapement on sockeye in the
22 Frazier River and no doubt there was an element of truth
23 in it, but once the thing was considered, the increased
24 coho escapement was the lesser of the two evils, so
25 there has never been any real problem on it.

1 Q Could you explain briefly, this may be difficult, but
2 explain just briefly the mechanics of the International
3 Pacific Salmon Commission regulation of the Frazier
4 River sockeye runs based on the fifty per cent sharing
5 principal, how do you go about regulating it so you
6 determine each side, American and Canadians are getting
7 their fifty per cent share?

8 A I think the Commission met thirty some times last year,
9 practically all of which was done during the six week
10 period of the fishing season, and as I said, everyone
11 stands by.

12 You have critical days, Tuesday is one, Thursday is
13 another, and they recognize that, and they tend to stand
14 by and be available on the driving time notice to Belling-
15 ham upon call from the Director.

16 The Director is on short wave telephone staff
17 communication, and sampling cuts out on a twenty-four
18 hour basis. If, by nine o'clock or nine-thirty, each
19 day you have a total catch for the preceding day, and
20 an indication of the catch of the night before preceding
21 nine o'clock, and if things do not appear to be fitting
22 the formula, you jump on the phone and get at least four
23 commissioners, two from each country, there has to be a
24 quorum, to Bellingham. By ten thirty in the morning
25 you announce regulatory changes which have been known to

1 go into effect that night, and not later than the next
2 morning.

3 That is how you do it. But, it's a series of
4 experienced samplings, scale analysis, catch analysis,
5 escapement analysis, and whether or not what is happening
6 is fitting the established formula for accomplishing
7 a specific end point. If they are not, you call a
8 commission meeting and make such changes as you think are
9 necessary to do it.

10 I might say, the escapement division of catch, of
11 course, you can do that by a judgment, you close the one
12 country down for a day and give the other country a day's
13 fishing, you make up the large differences, pretty fast,
14 but out of a catch of two or three million, you are never
15 off, usually not over more than twenty five, fifty
16 thousand, at the most, fifty thousand is considered a
17 major difference.

18 Q This would be in part, these formula you are using would
19 be partly based on predictions of returning runs?

20 A I will call it a formula based on - -

21 Q Would this be based on a prediction of returning runs?

22 A Various predictions are very complicated things. The
23 tides differ, and when the tides differ, the migration
24 speed changes; fish can be more vulnerable. The tides
25 are not the same every year, they are the same every four

1 years, and when you are dealing with catches of a couple
2 hundred - - up to a couple hundred thousand, I can
3 remember in 1958, we were dealing with catches of over
4 a million fish for each country, a day, on the peak of
5 the run.

6 Mind you, it is not a desirable position during that
7 period of time for anybody, but there is a certain
8 element of fun in it after it's all over.

9 Q Okay. Do you think that the principle of shared harvest
10 based on percentage of harvest is a workable principle
11 for Salmon; has it been a workable principle on the
12 Frazier River sockeye run?

13 A It was either that or else Canada owns the fish, and
14 the United States had the fish in water. Canada is not
15 happy now, and they are having a grand old fight over
16 whether the fifty per cent share is correct and whether
17 or not the Canadians are catching too many Washington
18 hatchery coho. It's quite a mess, but nothing is settled.
19 For twenty some years, things were pretty happy and I
20 might say that the Commission contributed a great deal
21 of it to the Canadian Government.

22 They developed their pollution policy for them, and
23 demonstrated an air of good will; the fisherman had a
24 regular international fraternity where Canadian or
25 American was never mentioned, but if you are inferring

1 you share Steelhead that way - -

2 Q No, I am not speaking of Steelhead at all, I am asking
3 you if it is your opinion based on your experience with
4 the International Pacific Salmon Commission with regard
5 to Salmon - -

6 A Regard to sockeye and pink under the geographical
7 conditions of fact it worked. It started to get in a
8 hell of a mess at the start of this, but I don't know,
9 I don't know that this has anything to do with the status
10 quo.

11 Q Okay. You indicated that there were traps near Lummi
12 Island going back to 1880 - -

13 A This was all over Puget Sound.

14 Q Specifically, you were talking about these traps, and
15 when the traps were there, there was no reef net fishing?

16 A As far as I am aware, there never was, I am pretty sure.

17 Q Do you know who operated that trap?

18 A The Fisheries Department office - - it's a matter of
19 record.

20 Q Would this have been Indian?

21 A There were one or two Indians operated some traps, Henry
22 owned some, owned a trap, and he operated them just the
23 same as the white man, not through the Indian treaty
24 rights, but through a license to the State of Washington.

25 Q Do you know of any Indian fish nets, reef net fishing

1 around Lummi Island?

2 A There was supposedly some and apparently there were
3 four Canadian Indian reef nets over around Pender Island,
4 over toward Victoria and that area, in that general
5 area.

6 (Discussion off the record.)

7 MR. MCGIMPSEY: No further questions.

8 RE-DIRECT BY MR. GETCHES:

9 Q I have a couple questions, you testified that there was
10 a period of time in which there were no reef nets around
11 Lummi Island. What was that period of time?

12 A During the fish trap days, I don't think there is any
13 question but what the Indians had reef nets in the early
14 days.

15 Q What were those fish trap days? What period of time was
16 that, roughly?

17 A They started with the development of the Puget Sound
18 Commercial Fishery which could not have been later than
19 1880, and lasted until 1934, or until 1935, they were put
20 out of existence by Initiative 77, which came into effect
21 at the end of 1934, or effective in 1935.

22 Q There was a period in the 1880's, running about fifty
23 years?

24 A There was - - I don't think there were reef nets in Puget
25 Sound.

1 Q Excluding Lummi Island?

2 A Yes. Now, I may not be a hundred per cent correct, but

3 it was not recognized as amounting to anything and I

4 don't remember anything except fish traps, purse seines

5 and very few gill nets in that area.

6 Q All right. You answered one of Mr. McGimpsey's questions

7 that related to gathering information on run size and

8 escapement, I believe that you have more money to spend

9 on coho than there is to spend on Steelhead?

10 A You are justified in spending more because of the value

11 of the larger, much larger value of the resource.

12 Q Now, what is the basis of that value?

13 A It's established and accepted value of the resource by

14 the public.

15 Q Commercial?

16 A Well, it could be sport value too, as far as that goes.

17 I know the Game Department has a sports value on Steel-

18 head resources, I think it's just been accepted as

19 justifiable by leading economists, etc., something like

20 \$50.00 a fish caught, or \$55.00.

21 Q When I was asking about statistical data that was avail-

22 able on Steelhead, you replied a number of times that

23 it would not be practical or economic to pursue information

24 to that extent. Did you have in mind this economic value

25 of the Steelhead?

1 A Yes. As far as commercial fishery or fisheries which
2 harvest fish and sell them, the only value of those
3 fish is what they get for them, less the cost of catching.
4 Q So, that was your judgment about the practicality of
5 this?
6 A Yes.
7 Q You testified about the means of fishing known as
8 varvoes, used by the Indians?
9 A Yes.
10 Q And I think your - -
11 A Yes, it's a brush weir, or a brush trap.
12 Q Your point there was, even using this fairly efficient
13 means, it was not - -
14 A I pointed out it was highly inefficient even though it was
15 clear across the stream.
16 Q So, using something that was ostensibly efficient there
17 was a great deal of error and loss of fish through
18 escapement?
19 A That's right. I don't think - - the varvo has to be
20 used where you do not have, due to the inefficiency of it,
21 it can't be used at all where you have major fluctuations
22 of water in a large stream.
23 Q Now Mr. McGimpsey asked you about fish traps, hypothetical
24 fish traps and real ones, he asked you a question about
25 whether or not you could tell when you release a fish from

1 a trap for escapement purposes, where it was going?

2 A A steelhead, and I said no, you cannot.

3 Q You said no, you cannot? Wouldn't it - -

4 A Not on any information that is available to date.

5 Q But, would it be reasonable to assume, if you impounded
6 fifty thousand fish and released ten thousand, the same
7 proportion of that ten thousand would go to various
8 tributaries of that river?

9 A Not necessarily. If you released all Steelhead from a
10 specific point at a specific point, they would all tend
11 to go back to that point.

12 Q I'm sorry, I didn't make myself clear. I said, if you
13 impounded a number of fish in a short period of time, and
14 you released some of those fish, now, is it reasonable
15 to assume that the same proportion of fish released up
16 stream would go to each of the tributary streams as would
17 have gone if all of them went?

18 A They would. You have a time factor here, and a differen-
19 tial time of arrival in migration, different fish, your
20 wild fish, for instance, you get fifty thousand fish in
21 the weir in December and January, you turn them all loose,
22 you may not get any fish in the tributaries which may be
23 where your wild fish are originating.

24 Q Assuming a constant trap with frequent releases?

25 A I would have to say you would tend to get a homogenius

1 distribution over the season, if you are releasing this
2 way, but you go along today and you get a flood and out
3 goes the trap, you get one hundred per cent escapement
4 and zero catch.

5 Q So, what you do is put a trap above them and catch them
6 before they spawn? That could control some of the
7 circumstances by timing and by frequent releases?

8 A You could try, I don't think anybody would ever try a
9 trap in a stream, even as large as - - certainly not the
10 size of the Chehalis, between November and March when
11 you can get floods that cover the entire valley out
12 here. And the same thing applies, generally, and
13 approximately, to all major river systems, nobody will
14 build a fish trap.

15 Q Well, can't you correct a lot of problems with the river
16 mouth fish traps such as debris accumulation, navigation
17 interference, and the like with traps?

18 A Oh, if you want to give the Indians the fisheries and
19 ignore the constitution and special privileges, gill netting
20 at the mouth of the river is the proper way to do it.
21 Gill netting. The snag comes down, you pull it out, and
22 pull the net in, and then go back.

23 Q Couldn't you solve a lot of problems with large river
24 mouth fish traps, many of which you have enumerated, by
25 moving to the mouth of the tributary, putting in several

1 small fish traps?

2 A You would have to go out in the tide water and probably
3 intercept in so doing - - you would intercept Steelhead
4 from other streams, the mouth of the Duwamish, Coho
5 would interfere there, in the fall I know of personal
6 knowledge, clear up to Spokane Street Bridge at least,
7 which is above what you call the tide flat area. There
8 are many fish of several races (sic) that go in there,
9 but don't go upstream, they turn around and go out.
10 So, you don't know, you can't identify your fish, so you
11 don't know what you are doing.

12 Q But, once they reach the tributary stream - -

13 A They will stay there.

14 Q They will stay there, and if you put a trap at the
15 tributary - -

16 A In the tributary is where the Indians probably caught
17 their fish in the first place, the spawning tributaries,
18 and not down at the mouth of the river. You are dealing
19 with a volume of water which can be reasonably and
20 physically handled.

21 Q At that time, at that point, a fish trap is more practical
22 and manageable?

23 A Yes.

24 Q The International Pacific Salmon Commission, according to
25 the testimony you gave, sounds as if it has some fairly

1 sophisticated technology that it utilizes?

2 A It definitely did have.

3 Q And they have a great deal of rather complicated infor-
4 mation gathering facilities?

5 A And we had enough fish that we could use these techniques
6 which would not be justifiable in the case of Steelhead,
7 for instance. We used test fishing and we actually
8 caught thousands of sockeye, more sockeye than you would
9 dare risk even in the Steelhead of the Frazier River.

10 Q Is there any information gathering statistical compilation
11 or technology to the extent, and sophistication that it
12 exists with International Pacific Salmon Commission?

13 A Definitely not. Although, the methods developed by the
14 International Pacific Salmon Commission for management
15 of similar species have certainly been used by other
16 parties, other agencies.

17 Q But at this point, the Department of Fisheries and the
18 Department of Game have not approached that level of
19 technology?

20 A They either can't do it due to physical circumstances or
21 can't justify it economically.

22 Q There are a number of the - -

23 A If they can do either one, they will do it.

24 Q There are a number of aspects of the methods developed
25 by the Commission that could be adopted by those two

1 departments are there?

2 A They are there, as I said, you have a unique situation
3 on the Frazier, you have vast numbers of fish, and very
4 limited spawning ground. They are large, but they are
5 few in number.

6 Q So the Department couldn't benefit from the technology?

7 A No, it's too hetrogenous, the whole thing, too many
8 streams, too many species, too many this and that, and
9 not a large enough population in each, or any case to
10 justify the expenditures and all, of applying all these
11 things.

12 Even, mind you, I think they have an excellent system,
13 they use test fishing a good deal, even to the point of
14 catching a fish and releasing him, unharmed, in purse
15 seines, but they do and have done an excellent job, in
16 my opinion, in recent years.

17 Q Who is primarily responsible; well, for how long has that
18 technology existed in the Commission?

19 A It's like everything else in the fish business, it's grown
20 very rapidly since 1950. We knew very little up to the
21 late '40's, and really efficient scientific management
22 has been developed, including hatcheries - - the first
23 fifty years of fish culture probably did more harm than
24 good, and millions of dollars were spent, but the
25 principle is correct, the operating procedures were
wrong, is all.

1 Q Have the results justified the expenditures of time and
2 money on technology?

3 A I think it definitely has. Going from unknown losses to
4 quite a considerable sum each year, I think that the
5 Department of Fisheries has justifiably calculated they
6 get about \$3.00 back for every dollar on coho, in the
7 fish culture, so you got two dollars left to apply to
8 repay for the research that brought it about.

9 Q You are talking about Washington fisheries?

10 A Yes.

11 Q I am referring to the Commission.

12 A Oh, the Commission, yes. No question there, they don't
13 spend any money on fish culture, everything is spent on
14 management or research. But, mind you, it was the
15 Commission policy and mine, and it's been holding together
16 pretty well, that there was no increase in personnel --
17 over a ten year period - - it's a conservative organiza-
18 tion where they limit the research primarily to the
19 development of ideas and application and stimulation of
20 other organizations to carry part of the load, because
21 they have the same problems as the Commission has, so
22 it's - - I spent a good deal of my time discussing, argu-
23 ing over certain scientific ideas, stimulating maybe the
24 State Fishery Department, maybe the Fish and Wild Life
25 Service, down at Portland or at Seattle.

1 Q Based upon your experience - -

2 A I say developed the ideas, talked them over and let's
3 get off the dime and do something. I can't do everything.

4 Q Do you have any disagreement with either of those
5 departments?

6 A Let's put it this way, twenty-five years ago you could
7 go to three doctors and get a different diagnosis from
8 each of them as to what was the matter with you. Now
9 days, they go to the book and order fifteen tests, and
10 the book tells you what the tests results will show, and
11 they all agree you've got fallen arches, and they are
12 probably right once in a blue moon. So, you don't have
13 the variation of ideas, but we are still in the variation
14 of ideas to a considerable degree in fisheries, science
15 and one biologist gets up and says it's not necessarily
16 what one says, it's not necessarily the same thing as
17 another biologist is going to say or that another biologist
18 is going to agree, but we are getting closer together
19 all the time.

20 MR. GETCHES: I have nothing further.

21 RE-CROSS EXAMINATION BY MR. MCGIMPSEY:

22 Q As far as what Mr. Getches mentioned, and that you
23 indicated it might be feasible to put traps in tributaries
24 as it would not be feasible to put them in the mouths of
25 rivers, if traps are in the tributaries, would they still

1 not be subject to the same problems of freshets, allow-
2 ing too many fish to escape?

3 A It would be difficult in that you wouldn't have, in the
4 upper streams, where you have higher banks, in most
5 cases, better protection, you would still have problems,
6 you probably could put in a trap later, and avoid the
7 major floods because of the known delay in migration
8 upstream, the tributary represents a spawning time more
9 than migration.

10 In this report you will find that the fish are not
11 caught in December, they will be caught in January.
12 You have a lot of floods in December, and the river goes
13 out of shape for hook and line fishing. You still catch
14 the same fish in January, and do, but when you get in
15 the tributary, your time is much later and the danger
16 of flood is much less.

17 Q In the tributary, you have the engineering capability of
18 stopping the fish and avoiding the danger of floods and
19 so forth?

20 A I think that really, this is what you are talking about,
21 from a practical standpoint, it's not a fish trap, but
22 a dam with a trap in it.

23 Q Okay, do you have any idea, for example, on a river like
24 the Skagit, how many tributaries there possibly could be
25 where Salmon spawn?

1 A Well, number one, since you mention a specific stream,
2 it's physically impossible to put a fish trap above
3 tide water in the Skagit River, so you would have to
4 build a dam to encompass that volume of water through
5 screens. You would have to pass it over an obstruction
6 by creating a dam.

7 Q Even on the tributaries?

8 A On the tributaries there are a number you could.

9 Q How many tributaries? If you put traps on some of the
10 tributaries and the traps were the only place you were
11 taking fish, would that create a problem as to those
12 tributaries where there were no traps as far as over
13 escapement, as far as those tributaries go?

14 A I am assuming you are not catching any fish at all,
15 right? The only fish you are catching are in the traps?

16 Q You're not having any public utilization of sport
17 fishery.

18 A I hate that word sport fishery, assuming all the fish are
19 caught in the traps?

20 Q You put traps on some tributaries, and not all, would
21 that pose a problem from management point of view to the
22 Salmon resource of that river or water shed?

23 A I can't answer that, but inferring with you, in the same
24 manner that I did with Mr. Getches, that situation will
25 never occur, because the people of the State of Washington

1 will not let you do it.

2 Q Okay.

3 A You are creating an impractical, hypothetical situation
4 that is not going to occur under any circumstances. So,
5 why the question?

6 Q I appreciate that, and I guess maybe sometimes lawyers
7 dwell in the absurd, but would it not present a problem
8 of management?

9 A You are trying to find answers which you are not obligated
10 to find out, and diverting from the legal problems
11 involved.

12 Q What I am trying to do is to explore the ramification
13 of a particular policy in this case, the traps. Would
14 there not be over escapement on those tributaries that
15 did not have traps if you put traps on only some of the
16 tributaries and if all fish were taken in the traps?

17 A If over escapement is defined as allowing more fish to
18 escape than is required to reproduce the maximum of
19 fish in that tributary, the answer is yes, providing
20 you do not harvest a single fish before it gets there.

21 Q And is over escapement a damage, or as detrimental as
22 under escapement would be?

23 A There is no evidence, I said this morning, no evidence
24 that an excessive number of coho, Steelhead, or any stream
25 rearing salmonid is detrimental, it's wasted, failure,

1 wasted fish, but not detrimental to reproduction. With
2 the pink salmon I think it has been, which is not a
3 stream rearing salmonid, it's been demonstrated you can
4 have too many fish and it's detrimental to reproduction
5 but that is not demonstrated in the case of the stream
6 rearing salmonids.

7 Q From a management standpoint of view, which would be
8 more practical as far as Salmon and Steelhead, having
9 net fisheries in the river, or traps on the tributaries
10 of the river?

11 A Not having any fishery at all in the rivers and doing
12 what you are doing now, and catching the bulk of fish
13 in salt water where they are top quality and caught in
14 a good condition by the public at large. In other words,
15 the Legislative and Executive government branches doing
16 what the people want and what has been found to be the
17 most practical.

18 Q Okay. There is net fishery - -

19 A That applies to Steelhead.

20 Q There is an Indian net fishery in the Puyallup water
21 shed?

22 A Some of them, yes.

23 Q In the rivers?

24 A Yes.

25 Q Would it be more desirable to regulate Indian net

1 fisheries in the rivers than to regulate Indian trap
2 fisheries on all the tributaries?

3 A Up to now, the State of Washington says you can't do
4 those things off the reservation, and on the reservation
5 it's none of our concern. So, until that is changed, I
6 can't answer your question.

7 Q Okay. Then, as far as releasing fish proportionally
8 from a trap in order to do that, with accuracy, to get
9 your right escapement, wouldn't you have to know in
10 advance of the fish getting into that trap the size
11 that the run is going to be?

12 A That's correct, I said that before. The difficulty with
13 turning so many fish loose, you never know how many fish
14 to turn loose until the run was well along and the end
15 of the migration period you might be turning fish loose
16 that didn't have any relationship to the fish that came
17 on when you didn't release them. You just wouldn't know
18 how many to turn loose.

19 Q As I recall, you were last employed by the Department
20 of Fisheries in 1949?

21 A No, December 31, 1948. Now, wait a minute, I did work
22 a month as a consultant, maybe two months, over the
23 twenty-two year period, but as a permanent employee, yes.

24 Q So, would it be fair to say that you have not had real
25 intimate contact with the fisheries management science

1 and practical development since?

2 A Absolutely not; I have been in constant contact with
3 the Department for two years, the Department of Fisheries.
4 I am personal friends of practically everybody up there,
5 both professionally and personally. I am going to get
6 rougher, I am tired, and I think we have gone far enough.
7 I am entitled to leave.

8 Q You indicated to Mr. Getches that you thought the Depart-
9 ment of Fisheries did not have the technology or ability
10 to regulate the streams in Puget Sound water shed in a
11 similar fashion to the regulation of the Pacific Salmon
12 Commission, is that a fair statement of what you said?

13 A Insofar as I didn't say they didn't have the knowledge,
14 I said they didn't have the capabilities or economic
15 justification for doing so.

16 Q Okay, do they have the knowledge to do it?


17 A Yes. You have men who fully understand the workings of
18 the International Pacific Commission and several of them
19 as a matter of fact, very capable individuals, but they
20 are inhibited by physical limitations, economic limitations,
21 and the characteristics of the particular species involved.

22 MR. MCGIMPSEY: Okay, that's all the questions I have.

23 MR. CUFLEY: No questions.

24 (Witness excused at 3:30 p.m.)

25


Lloyd A. Royal

CERTIFICATE OF SIGNATURE

STATE OF WASHINGTON)

: ss

COUNTY OF L E W I S)

I, the undersigned duly commissioned and qualified notary public do hereby certify:

That the witness in the foregoing deposition appeared before me on the 15th day of August, 1973, and that said deposition was submitted to the witness for reading, examination and signing and being by said witness subscribed to in my presence.

Helen I Lane
Notary Public in and for the State
of Washington, residing at Centralia

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Deposition Exhibit 1
Terms of Reference During Period of
Employment with Department of Game

STATE OF WASHINGTON
DEPARTMENT OF PERSONNEL
CLASSIFICATION QUESTIONNAIRE

1. ASSIGNED CLASSIFICATION		2. POSITION	
3. REVIEWED BY	4. DATE	5. AUDITED BY	6. DATE
7. PAY RANGE			

0623

SECTION I — GENERAL (DO NOT WRITE IN ABOVE SPACES)

8. NAME MR. MRS. MISS		LAST		FIRST		MIDDLE INITIAL		9. CLASSIFICATION TITLE	
		NEW POSITION							
10. Monthly Salary		11. PAY RANGE		12. PAY STEP		13. OFFICIAL WORK WEEK NUMBER OF HOURS		14. WORKING TITLE	
15. DEPARTMENT OR INSTITUTION Game		16. DIVISION AND/OR SECTION Fish Management		17. IMMEDIATE SUPERVISOR NAME Carl N. Crouse		TITLE Director			
18. DURATION OF EMPLOYMENT WITH DEPARTMENT YEARS MONTHS		19. LOCATION OF EMPLOYMENT ADDRESS 600 North Capitol Way		CITY Olympia					

SECTION II — DESCRIPTION OF DUTIES

20. % TIME <input type="checkbox"/> Day <input type="checkbox"/> Wk. <input type="checkbox"/> Mo. <input type="checkbox"/> Yr.		21. DUTIES READ INSTRUCTIONS CAREFULLY BEFORE COMPLETING THIS SECTION. LIST THOSE DUTIES FIRST WHICH OCCUPY MOST OF YOUR TIME. NOTE—UNDERLINE OR BRACKET YOUR MOST RESPONSIBLE DUTY.		DO NOT WRITE IN THIS SPACE	
--	--	---	--	----------------------------	--

100%

Under the general direction of the Director of the Department of Game performs a variety of responsibilities involving a total review of the anadromous fish programs of the Department.

Reviews, analyzes and re-structures existing research programs and develops additional research programs as necessary utilizing the most modern techniques of fishery management in order to improve and produce a more efficient overall statewide management program for the sportsmen of the State of Washington.

Development and revision of existing programs requiring an analysis of planting records, rate of return, oceanographic trends, historical management information practices, both fresh water and marine, including a review and analysis of steelhead release programs.

Coordination and consultation with other fishery agencies, both state and federal, on anadromous fish management techniques, practices and research methods.

Develops, recommends and implements short- and long-range goals and objectives for the total management program, including the development and implementation of long-range comprehensive research plans for the total management of the steelhead fishery in the State of Washington.

Directs work of biologists and technicians as assigned in accomplishing the goals and objectives of this program.

Performs other work as required.

Exhibit 1
Witness: Mr. Royal
May 25, 1973
Helena S. Lane, M.P.

(Attach Additional Sheets If Necessary)

DISTRIBUTION: WHITE (TYPED ORIGINAL) PERSONNEL DEPARTMENT BLUE (TYPED CARBON) AGENCY: BUFF (ROUGH DRAFT) EMPLOYEE.

SECTION III — RELATED INFORMATION

22. LIST THOSE EMPLOYEES WHO PERFORM SUBSTANTIALLY THE SAME DUTIES AS THOSE YOU HAVE SET FORTH IN ITEM NO. 21.

NAME OF EMPLOYEE (3 ARE SUFFICIENT)	CLASSIFICATION TITLE	WORKING TITLE
A. NONE		

23. IF YOU ARE IN A SUPERVISORY POSITION LIST THE UNITS YOU SUPERVISE AND NUMBER OF EMPLOYEES IN EACH. IF AN ORGANIZATION CHART HELPS CLARIFY THIS ITEM PLEASE ATTACH (8 1/2 x 11) AND SO INDICATE BELOW. DO NOT WRITE IN THIS SPACE

24. LIST EMPLOYEES, IF ANY, UNDER YOUR DIRECT SUPERVISION. IF MORE THAN FIVE LIST THE NUMBER OF EMPLOYEES BY CLASSIFICATION.

NAME OR NUMBER	CLASSIFICATION TITLE	WORKING TITLE
A. *Assigned depending upon need	*Biologist I - Aquatic	
B.	*Biologist II - Aquatic	
C.	*Biologist III - Aquatic	
D.	*Fish & Game Technical Aide	
E.		

25. LIST ANY OFFICE MACHINES, EQUIPMENT, TOOLS, MOTOR VEHICLES, ETC. OPERATED ON JOB; GIVE PER CENT OF TIME.

26. LIST ANY MAINTENANCE (ROOM, BOARD, LAUNDRY, CLOTHING, ETC.) YOU RECEIVE IN ADDITION TO YOUR CASH SALARY.

27. I CERTIFY THAT THE STATEMENTS CONTAINED HEREIN ARE MY OWN AND ARE ACCURATE AND COMPLETE.	28. SIGNATURE OF EMPLOYEE	29. DATE
--	---------------------------	----------

SECTION IV — STATEMENT OF IMMEDIATE SUPERVISOR

(Attach Additional Sheets If Necessary)

30. THE ABOVE STATEMENTS ARE ACCURATE AND COMPLETE EXCEPT:

31. DO YOU AGREE WITH EMPLOYEE'S STATEMENT AS TO MOST RESPONSIBLE DUTY? (ITEM 21)

☐ Yes
☒ No

EXPLAIN—

32. SUPERVISION REQUIRED BY POSITION

☐ CLOSE DETAILED; ☐ ON A SPOT CHECK BASIS ONLY; ☒ LITTLE—EMPLOYEE RESPONSIBLE FOR DEVISING OWN WORK METHODS; ☐ OTHER
EXPLANATION OF ITEM CHECKED:

33. EDUCATION

☐ LESS THAN HIGH SCHOOL
☐ HIGH SCHOOL GRADUATION

☐ SOME COLLEGE
☐ COLLEGE GRADUATION
☒ GRADUATE STUDY

NO. OF YEARS
DEGREE (KIND)

MAJOR

Fisheries

BS or MS

34. EXPERIENCE (INDICATE KIND AND LENGTH OF TIME)

Five years' experience in fisheries management or research.

35. SPECIAL KNOWLEDGE, SKILLS, LICENSE, CERTIFICATE, ETC. REQUIRED

36. SIGNATURE OF IMMEDIATE SUPERVISOR

Carl N. Crouse

37. TITLE

Director

38. DATE

1-29-71

SECTION V — STATEMENT OF DEPARTMENT HEAD

(Attach Additional Sheets If Necessary)

39. DEPARTMENT HEAD'S COMMENTS AS TO ACCURACY AND COMPLETENESS OF STATEMENTS OF EMPLOYEE AND IMMEDIATE SUPERVISOR.

40. DO YOU AGREE WITH THE STATEMENTS IN ITEMS 33, 34 AND 35?

☐ Yes
☒ No

COMMENT

41. SIGNATURE OF DEPARTMENT HEAD OR AUTHORIZED REPRESENTATIVE

Douglas L. Lozier

42. TITLE

Personnel Officer

43. DATE

1-29-71

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Deposition Exhibit 2
"Recommendations"

RECOMMENDATIONS

Administrative

1. The present organization of the Fishery Management Division is such that gathering information for use in improving management policies and operating procedure is difficult. It is strongly recommended that the division, under the division chief, be divided into three units, headed by (a) an assistant chief in charge of administration, including finance, budget, purchasing, federal aid, records, and personnel, (b) an assistant chief in charge of operations, which would include all hatcheries and management programs, and (c) a research director. Under (b), a field supervisor of hatcheries would be in personal contact with all hatcheries on a periodic basis and would have a full-time pathologist directly available to him. He would advise on diets, operating procedures, needed improvements in hatchery design and, in general, provide experienced advice to the superintendent in regard to his problems and the needed improvements in the quality of his product. All record keeping, which currently absorbs most of the hatchery supervisor's time, should be transferred to a knowledgeable clerk. Also under (b), a field supervisor of management programs would provide the necessary field liaison with the regions and arrange for specific management investigations to be conducted by each regional biologist as an essential part of his continuing duties. Each project would represent type waters and be directed toward providing maximum yield of resident fish for a minimum cost. At present, all knowledge is retained by the individual biologist, with no records to be passed on to succeeding employees. Each project should be programmed in such a manner that adequate data is obtained for supporting

Exhibit 2
Witness: Mr. Royal
May 25, 1973
Helen L. Lane, N.P.

definite conclusions. Each project should be reported in detail in a manner suitable for publication in an annual report for the region. These reports should be exchanged within staff and summarized in the annual report of the division chief. Reports considered to be of value to the literature on fish management should be published by duplicating and released to those involved directly in applicable game fish management. Personality and dynamic leadership are essential qualities of both field supervisors that the guidance from the main office is respected and sought after by the regional organizations. Field work is the essential basis of activity on the part of both supervisors.

It is strongly recommended that a central fisheries research unit of limited size be created under the leadership of a capable, personable, and practical individual, with complete freedom of action, unaffected by the general operation of the division but working under specific terms of reference prepared by the division chief. Research should be dedicated primarily to providing new knowledge on methods for increasing the adult survival rate and the total available population of anadromous trout at minimum cost.

The report on the anadromous trout program submitted under separate cover should provide a detailed guide to the direction of the research. The director of the research unit should create a suitable liaison with other research agencies to stimulate their research toward a desirable end point and consolidate current findings of others into the design of the division effort. All information should be collected in an organized manner, leading to early publication of the data and related findings in the most economical manner. Publication of facts is a major

responsibility and only the analyses of data for publication can lead to substantive conclusions. All research relating to anadromous trout initiated by the regional staff should be eliminated and any activities of the region on this subject should be confined to cooperation in the collection of data. The region, because of the pressure of miscellaneous and widespread responsibilities, is no longer capable of carrying out the research required to eliminate those stresses being created on anadromous trout by present management practices and to measure the result. (See recommended research program.) Close liaison between the research unit and the region is necessary, however, to provide justification for the effort being expended and the distribution of the results. Only in this way can the morale of the regional staff be maintained and the proper education of the licenseholder carried out.

2. The primary responsibility for investigation and other actions in respect to water use, including pollution, which might impair game fish populations, should be removed from the regional biologist and transferred to the Environmental Management Division, acting through its staff and the regional supervisor. At present, the activities of the regional biologist related to water use and water-connected problems impairs his capability to carry out his primary functions of regional fisheries management. In addition, one senior employee in the division works full time in the water protection activity which, basically, is the responsibility of the Environmental Management Division. The time represented by this employee is badly needed for liaison with the field staff to improve fish management. This recommendation appears consistent with the terms of reference of the Environmental Management Division.

3. There is a need for an annual divisional report to the Director of the Department, including not just the hatchery operational report but a summary progress report on all activities of the division, including research. Such a report would tend to provide more coherent direction and consolidate needed improvement in operating and management policies. Such a report would serve also as an educational and factual record for the region and, if desired, for representative licenseholders.
4. Major improvements should be made in record keeping by the division, which is now inadequate for practical use, and the responsibility for keeping the required records should be clearly delineated. In association with improved record keeping is a need for a complete reorganization of the filing system. Currently, a general belief exists that the best way to lose something is to send it to the division office. The writer has experienced considerable difficulty in obtaining file information and, frequently, reports and information either couldn't be found or had disappeared. A central library of documents related to the activities of the division should be developed. Currently, no reference is kept of available information and no one is able to keep up with current published information to facilitate an improvement in the division operation. Such a reference library for fisheries probably could best be developed under the direction of the research unit but available for use by the region and other divisions of activity within the department. Perhaps the library could best serve not only the fisheries division but all interests of the department and thus eliminate the general lack of required information, the disappearance of documents, and provide for collection and exchange of all applicable documents under a responsible and knowledgeable person in library procedures.

5. The Department should consider the desirability of establishing permanent facilities on a control stream suitable as a base for survival studies related to hatchery practices, interspecific competition between stream-rearing salmonids, and the effect of fish cultural operations on the maintenance of natural reproduction. This proposal should be of mutual interest to this department and the Department of Fisheries and should be financed in equal moieties. Perhaps such a project might be entered into in behalf of all Northwest agencies involved in rearing salmonids and financed by federal funds. Further, the department should participate more realistically in the programming of research on the Columbia River and elsewhere, as carried out by other agencies. Desirable data on anadromous trout could have been collected in past research projects carried out in this area by the National Marine Fisheries Service. Such data would be of major value toward understanding some of the existing problems faced by those charged with the management of anadromous trout. (See recommended research program.)

6. In view of the negative results accruing from the recently increased planting program of anadromous trout, further expansion of this program should be discontinued until facts obtained from prototype experiments carried out by the research unit justify such expansion. In fact, some retrenchment in the number of fish planted appears justified subject to periodic reconsideration on the basis of new data. Care should be taken in the execution of all prototype experiments that the public recognize that research only is involved and that each experiment may not necessarily result in a new operating policy. (See Operational Recommendations.)

7. There is a serious need for establishing close and continuing administrative liaison with all other agencies involved in raising stream-rearing salmonids, particularly the Washington Department of Fisheries, to eliminate those practices which tend to create either undesirable interspecific competition or which tend to reduce or eliminate natural reproduction. A unified policy should be established which would phase out all plantings of anadromous stream-rearing salmonids which do not fall within the classification of a true smolt. Further, there appears to be a need for transferring responsibility regarding so-called "barren areas", landlocked areas, and the administration of regulating authority over nonmigratory salmon to the Game Department. Nonmigratory salmon should logically be considered game fish, the same as silver trout, *Oncorhynchus nerka* (kennerli), to eliminate, or at least reduce, the present conflict in the utilization of the aforementioned waters.
8. An administrative recommendation regarding any future requirements for fish cultural operations, while desirable, is difficult to define. On the basis of information available, we have developed rearing facilities for anadromous trout to the full survival capacity of existing stream conditions. Unless adverse hatchery practices, particularly those related to coho and chinook salmon, can be eliminated and the possible adverse effects of "Density Barriers" are understood, modified, or eliminated, any future expansion of rearing facilities for anadromous trout appears unnecessary. However, the statement above indicates that such a decision is tentative subject to new information and certainly the demand for catchable trout will require new rearing facilities proportional at least to the population increase. The potential perfection of

8. continued

the recirculation system, which can guarantee desirable thermal units and disease control, not available in all existing spring and gravity water supplies, could drastically change the planning of future hatchery rearing developments. However, the acquisition of rather scarce land and related water supplies consistent with expected population growth should be a sound real estate investment and provide insurance against the possible inability to perfect the biological and economic practicability of the water recirculation system. Such land and water supply acquisition might best be incorporated into multi-purpose projects, including recreational use.

Operational

It was strongly suggested in item 1 of the Administrative recommendations that the proposed research unit be restricted, at least initially, to activities related to improving the anadromous trout program. A suggestion was made also that each regional biologist conduct specific management investigations of resident trout in type waters on a continuing basis to improve the yield to the sportsmen at a minimum cost. There are a number of management problems in the resident fish program, the solution of which can best be detailed to the operational units. A limited amount of this type of investigation will aid in developing a more progressive attitude in the field staff and a better understanding of the problems still inherent in the present-day planting programs. Adequate design and execution, including the preparation of a detailed report suitable for publication, is essential to the success of such a program. The past failure in completing and reporting on each investigation after its initial start has produced little information, usually none, and has not contributed to the dignity, morale, or education of the departmental organization.

Operational, continued

1. Diet studies in relation to adult survival or survival to catch can best be carried out under the general guidance of the field hatchery supervisor and the specific supervision of selected hatchery superintendents at carefully considered locations. Proposed research programs related to diet will be detailed in the recommended research program. The findings from these special projects can then be incorporated into all hatcheries for confirmation or possible adaptation to each station. With different water supplies and rearing environment, favorable findings at one station may not always be duplicated at another.
2. The field supervisor of hatcheries, working with his pathologist, should attempt to isolate all existing stress factors brought about by the rather complicated rearing environment of each station. The relationship of each stress to the existence of virulent pathogens and the inevitable mortality, either at the time or later after the fish has been released, should be determined. Once isolated, each stress factor should be eliminated, if possible, either through redesign of the diet, water system, or the physical features of the station. The hatchery superintendent should be closely associated with this activity and the regional staff informed of the summary findings to the end that everyone gains in stature from the additional knowledge.
3. The regional biologist should keep the field supervisor of hatcheries and the regional supervisor sufficiently informed on each of his investigational projects for improving the catch of resident fish, to the end that all people directly involved in any required changes in procedure understand the need for such changes and, therefore, are in willing accord. Changes in the time, size of fish, species, and size of planting allotments may result from such investigational activity.

4. Special effort should be initiated in developing a new brood stock of summer-run steelhead and sea-run cutthroat for release in the Puget Sound area to determine if the present source of stock is involved in the relative failure of these two programs to date.
5. The number of steelhead smolts planted should be increased in those streams which have not revealed a "density barrier" to the number of adults produced. The number of fish planted should be reduced, in those streams indicating a "density barrier", to the number planted before this limitation was created. The execution of this suggestion requires a carefully planned educational program with sports groups so that they understand, first, why the number of smolts planted is being changed and, second, the possibility that the factor, or factors, controlling the adult steelhead population may be modified, or even eliminated, through the development of a suitable uniform policy governing the salmonid planting program or by the acquisition of additional information as to what these factors are and how they function.
6. All marking of steelhead and sea-run cutthroat fingerlings or smolts by the field staff should be eliminated except under the guidance and responsibility of the head of the research unit.
7. Special effort should be expended in obtaining steelhead escapement figures, by sex, on a daily basis, reported weekly, at selected locations. All escapement data should be summarized in a standardized form in the annual report of each regional biologist. Total recorded escapement for each stream selected should be presented, with pertinent remarks as to relative size, in the annual report of the division chief.

8. The capabilities of each regional biologist should be measured to some extent on the quality of his annual report. These reports should always be distributed to the supervisor and biologist of other regions and made available in the regional offices for reading by all wildlife agents. The failure to prepare and distribute information of import has been a major weakness of the fisheries division in past years.
9. All plants of pre-smolt anadromous trout in migratory areas should be eliminated at once. These fish produce few, if any, adults, yet they create both inter- and intraspecific competition which will reduce the natural reproductive capacity of the stream for all stream-rearing salmonids. Undersized fish can be retained for planting as catchable trout in areas remote from the anadromous trout habitat, for planting in rehabilitated lakes, or they should be destroyed.
10. It appears desirable, in a year having a cold spring, to release steelhead smolts a week or more later than the average time for the peak of wild smolt emigration and, if possible, at a time of relatively high flow. Under no circumstances should fish be starved prior to release to create artificially the reactions of smolting fish in order to justify an early release.

Regulatory

1. It is suggested that the ten-inch minimum size limit in lower sections of steelhead streams be abandoned and reduced to six inches, applicable generally, during an open season starting June 1 or the last Saturday in May, whichever is considered to be more practical. Most smolts have left the streams by the above suggested opening date and the major share of the

1. continued

remaining fish are late smolts, smaller than normal in size, with a poor survival potential, and residual hatchery smolts (both steelhead and sea-run cutthroat), which cause inter- and intraspecific competition and produce few, if any, adults. Residuals apparently die during the following winter carry-over period. An unknown number of aged 2-plus wild steelhead will be caught, but there is no evidence to indicate that those streams having a six-inch limit, such as the Samish, Puyallup, and Green Rivers, have suffered a reduced production of steelhead. Likewise, there is no evidence that the production of steelhead has benefited in those streams having a ten-inch minimum size limit. The removal of all larger fish immediately after normal smolt migration, including hatchery residuals, favors the survival of the incoming and the previous year class of naturally produced steelhead by permitting a relatively virgin habitat as far as steelhead are directly concerned. It is true that the one-plus aged wild steelhead will start to approach the six-inch size limit in late August but in most streams, including those with a ten-inch size limit, these fish have migrated upstream to escape the higher water temperatures in the lower river and are available to fishermen where the six-inch limit is usually applicable. The one-plus fish apparently do not return to the main lower rivers until late fall, apparently after mid-October. While taking some of these one-plus aged fish does not appear to harm the adult survival rate, presumably because of the limit in winter carrying capacity, it is the headwater streams that provide the major habitat during the summer months, where the six-inch limit currently applies, not the lower river, where the ten-inch limit is applicable.

1. continued

The removal of the ten-inch limit, which has provided no obvious benefits, would greatly simplify the fishing regulations and would open up a large stream area for recreational use. An opening date on or about June 1 appears completely justified for all streams unless it can be demonstrated that a major smolt migration occurs after that date in the highly glacial streams, such as reported by Larson and Ward (1955). Until further information is available on the fall timing of the downstream movement of yearling and one-plus steelhead fingerlings and on the winter carrying capacity of the lower rivers, which obviously can be increased by improved salmonid planting practices, the closing date of the fishing season remains speculative because of the interest in fishing for adult sea-run cutthroat. However, there is no evidence at present to indicate that a late-summer closure would benefit the natural production of adult steelhead because of current hatchery practices, particularly those related to salmon, reduced fishing intensity, and because of the limited carry-over capacity of the stream. It would appear that range capacity has been ignored in the desire to prevent the taking of any young steelhead at the expense of the recreational use of the lower streams during the late spring and summer months. Furthermore, it is illogical to expect other agencies involved in rearing coho and chinook salmon to eliminate planting policies which contribute to temporary residualism while the department's regulations prohibit the taking of residual anadromous trout that produce few, if any, returning adults. The regulation recommended above currently applies to Oregon winter steelhead streams, except that the minimum size limit is eight inches instead of ten inches. The fishing season opens the last weekend in May. Survival rates of adult steelhead in Oregon streams appear to be as high as those indicated for Washington streams.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

I, HELEN I. LANE, a notary public duly commissioned and qualified in and for the State of Washington, United States of America, do hereby certify that, pursuant to agreement, there came before me on the 25th day of May, 1975, at 8:30 a.m., the following named person, to-wit: Loyd A. Royal, who was by me duly sworn to testify the truth and nothing but the truth, of his knowledge touching and concerning the matters in controversy in this cause;

13
14
15

16
17
18

19
20
21
22
23
24
25

1 IN WITNESS WHEREOF, I have hereunto set my hand
2 and affixed my notarial seal this 15th day of ^{August}~~July~~, 1973.

3
4
5 *Helen I. Lane*
6 Helen I. Lane, Notary Public in and
7 for the State of Washington, residing
8 at Centralia, Washington.

9 My commission expires June 1, 1976.
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25